1	FEDERAL TRADE COMMISSION
2	I N D E X
3	
4	FACTORS THAT AFFECT PRICES OF REFINED
5	PETROLEUM PRODUCTS
6	MATTER NO. P022105
7	
8	
9	SPEAKERS PAGE NO.
10	
11	Mr. Montgomery 12
12	Mr. Griffin 29
13	Mr. Felmy 45
14	Mr. Burdette 51
15	Dr. Larson 72
16	Dr. Hogarty 80
17	Mr. Slaughter 90
18	Mr. Jacobs 107
19	Ms. Morgan 120
20	Mr. Wroblewski 127
21	
22	
23	AFTERNOON SESSION: 68
24	
25	
	For The Record, Inc.

1	
2	
3	
4	FEDERAL TRADE COMMISSION
5	
6	
7	Public Conference:
8	
9	
10	FACTORS THAT AFFECT
11	PRICES OF REFINED PETROLEUM PRODUCTS
12	
13	
14	MAY 8, 2002
15	
16	
17	FEDERAL TRADE COMMISSION
18	6TH and PENNSYLVANIA AVENUE, N.W.
19	ROOM 432
20	WASHINGTON, D.C.
21	
22	
23	
24	
25	

PROCEEDINGS

1

2

3 MS. DeSANTI: Why don't we all get started.
4 Please take a seat.

\_

\_

\_

MR. MURIS: Good morning. Welcome to our second 5 6 public conference on the factors that affect prices of 7 refined petroleum products. I'm Tim Muris, and I'm certainly glad that you are here. This is an important 8 topic and this conference could not be more timely. 9 10 Gasoline prices have again been in the news and also the 11 subject of congressional hearings. As prices at the 12 pump rise and fall sharply with seemingly increasing 13 regularity, consumers question the causes of price 14 volatility. They also ask what drives the average level of qasoline prices. 15

16 Last August, the FTC began to study these 17 products. Of course the Commission already has long-standing expertise and authority with respect to 18 19 the oil and refined petroleum products industries. The 20 FTC has reviewed and required substantial divestitures 21 in several oil mergers over the last two years. Last 22 year, for example, the FTC conducted two investigations 23 into gasoline prices on the west coast and in a number 24 of midwestern states. Starting last August, we have 25 broadened our focus beyond law enforcement to analyze in

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

a more comprehensive way the central factors that affect
 the level and volatility of refined petroleum product
 prices.

4 The wealth of expertise during our law 5 enforcement investigations has informed that work, and 6 the information gathered and analysis that we are 7 currently undertaking will further help our enforcement. 8 Today I want to briefly outline the projects that we are 9 undertaking. They fall into three categories: 10 Research, reports, and review and monitoring.

11 I will discuss some of the questions we have 12 been asking and a few of the observations that we have 13 made thus far. We began our research by holding a 14 public conference last August 2nd. We heard from businesses, consumer groups, trade associations, 15 economists, government agencies, and other experts. 16 17 They told us what they saw as important factors warranting further study, and in many cases, also gave 18 19 us the benefit of their own experience.

Today's conference provides another opportunity to learn about the central issues. To give a few examples of issues to be discussed in the next day and a half, one paper asked to what extent and how quickly crude oil prices, both increases and decreases, are passed through to wholesale rack prices. This is an

important topic, given that crude oil represents about
 40 percent of the retail cost of gasoline.

Another paper examines the extent to which the density of competitors surrounding the local station affects the elasticity of demand at individual gas stations. This is another important topic for those of us tasked with understanding local retail competition.

8 I look forward to a lively discussion of these 9 and other papers during this conference. I want to 10 thank each of you who have agreed to participate for 11 sharing your time and expertise with us.

12 Of course our research goes beyond these public 13 conferences. We receive public comments and we have 14 reviewed literature and other data. EIA data and 15 reports have been particularly helpful as have many 16 other sources of information.

Let me note one recent news source: 17 Last week, the Majority Staff of the Permanent Subcommittee on 18 19 Investigations, Senate Committee on Government Affairs, 20 released a report entitled Gas Prices: How Are They 21 Really Set? Senator Levin chaired two days of hearings 22 on this topic. I want to compliment the Senator and the 23 majority staff on the completion of a very ambitious and 24 important project. We wholeheartedly agree with Senator 25 Levin about the importance of this topic to U.S.

1 consumers and to the U.S. economy.

2 The report has raised very important issues about the refining and marketing industries. It has 3 pinpointed crucial facts that we, too, have identified 4 5 in our research, such as the high rate of refinery 6 utilization, the importance of inventory levels of 7 refined products and the emergence of hypermarkets as a competitive force in retail gasoline sales. This report 8 is a significant effort and we will be studying it 9 10 closely as we proceed with our own work.

11 Let me share what we hope to produce from the 12 FTC's research: We have begun working toward two 13 reports, both to be issued later this year. The first 14 will review merger and acquisition activity by major petroleum companies and structural changes in the 15 industry, including changes in concentration at various 16 levels, such as crude oil, refining and marketing. 17 We 18 have been examining data from 1985 through 2000. This 19 report will basically update the FTC's previous oil 20 merger reports of 1982 and 1989.

The second report will review more broadly the factors that affect prices of refined petroleum products. We do not expect to find any one true factor that determines gasoline prices - rather gasoline prices result from a complex interaction of factors. Research

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

б

1 teaches that the price of crude oil is the most 2 important factor in determining the price of gasoline. 3 EIA data consistently show that over time, prices of 4 gasoline rise and fall with prices of crude oil.

5 Which of the other relevant factors are of most 6 significance? As witnesses at the congressional 7 hearings last week indicated, and as our research has shown, there is room for disagreement about this key 8 There are often two or more sides to an 9 question. issue. In antitrust, we face that fact daily, as our 10 11 work requires us to consider not only possible 12 anticompetitive effects, but also efficiencies that 13 transactions or practices may create, thereby lowering 14 costs to consumers.

For example, although vertical integration in certain contexts may cause anticompetitive effects, vertical integration also can creat significant cost savings that benefit consumers. It's important for us to consider both effects in evaluating competitive circumstances.

21 We are studying all sides of the issues 22 surrounding price volatility and price levels for 23 refined petroleum products. We hope that our report 24 will contribute to a better understanding of which 25 factors are most significant.

Finally, to complement this work, we are 1 2 actively reviewing and monitoring gasoline prices. We 3 have purchased data from the Oil Price Information Service on daily average retail prices for approximately 4 5 300 cities and data on daily average wholesale or rack 6 prices for 20 key urban areas covering regions across 7 the country. The retail prices are gathered from fleet card transactions at 60,000 to 80,000 gasoline stations 8 representing about 40 percent of all gasoline stations 9 in the United States. 10

11 This review will help to identify anomalous 12 prices in specific cities or larger regional areas. FTC economists have developed a statistical model that uses 13 14 historical gasoline prices to forecast the relationship between gasoline prices across urban areas. The basic 15 16 methodology looks for instances when actual prices in some particular city or region deviates significantly 17 from their historical relationship with other parts of 18 19 the country.

This program will allow FTC staff to identify and track gasoline price spikes on a realtime basis and to identify the most likely contributing factors. Price spikes may be due to refinery or pipe line disruptions, changes in demand, a changeover in the types of gasoline being manufactured, a change in competition, or some

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 combination of these and other factors.

We are also watching for other circumstances that might contribute to higher gasoline prices. Through its advocacy program, FTC staff commented on proposed legislation in the Virginia legislature that would penalize some forms of price cutting likely to benefit consumers.

8 FTC staff noted the potential for the proposed 9 legislation to harm consumers by raising the price of 10 motor fuels. Our staff also commented on EPA's recent 11 White Paper on boutique fuels, suggesting a more 12 developed analytical framework for assessing the 13 competitive effects associated with state and federal 14 environmental mandates on particular fuels.

As you can see, we've been quite active in this 15 16 area of gasoline prices over the last year. Besides enforcement actions, we've been conducting research in 17 preparation for reports and developing more refined 18 19 means for monitoring gasoline prices. We intend to 20 continue our high level of activity. These issues are 21 extremely important to U.S. consumers and to the U.S. 22 economy, and they merit significant attention.

To return to the reason why we are here today, let us begin today's discussion of these issues and further enhance everyone's understanding of them.

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

Thank you very much.

2 (Applause.)

1

MS. DeSANTI: Thank you very much, Mr. Chairman. 3 I think that those remarks frame some of the issues that 4 5 we're going to be looking at today. My name is Susan 6 DeSanti, I'm in the Office of General Counsel, I'm here 7 with Michael Wroblewski, also in the Office of General Counsel, Jim Mongoven is farthest to my right on this 8 9 side of the table, from the Bureau of Competition, and 10 Lou Silvia, who makes sure that we all take accurate and 11 full account of everything, from the Bureau of 12 Economics.

We're very pleased to have four panelists this morning to look primarily at issues involving crude oil. As the chairman mentioned, crude oil accounts for about 40 percent of the price of the retail cost of gasoline. And so we thought we better start here, in looking at these factors. This is where we started last August as well.

20 We will have two presentations and then we will 21 move into a panel discussion. I would like to introduce 22 our participants first, and then we'll have the 23 presentations.

David Montgomery is sitting over to my right.
He is vice president of Charles River Associates and

co-head of CRA's energy and environment practice. 1 He's 2 been involved in energy policy making and analysis for 3 over 25 years. As an assistant director of the U.S. Congressional Budget Office, as an official at the 4 5 Department of Energy, and the Energy Information 6 Administration. In these capacities, he has dealt with 7 issues that include oil supply vulnerability, price instability, and the influence of regulatory programs on 8 9 supply and price.

Over to my left in the same position is Dr. 10 11 James Griffin, who is the Cullen Professor of Economics 12 at Texas A&M University, and Director of the Bush 13 School's Program in the Economics of Public Policy. 14 Both his teaching and research interests center on regulatory economics, antitrust economics and natural 15 16 resource, and his presentation today is focused on how changes in crude oil prices are passed through to 17 regional gasoline wholesale prices. 18

Now we swing once again over to this table, and John Felmy is Chief Economist and Director of the American Petroleum Institute's Policy Analysis and Statistics Department. He was with us last August, and we very much appreciate having you back. His department is responsible for all statistical publications and economic analysis of API. We welcome him back today.

All right, and here from EIA, Joanne Shore was 1 2 going to join us, but due to an emergency, she has not 3 been able to, but fortunately we have Michael Burdette here to join us. He has served in a consulting capacity 4 5 for the U.S. Energy Information Administration since 6 1986, specializing in analysis of domestic petroleum 7 product markets. He has recently worked on the topic of retail qasoline price pass-through. And prior to his 8 work with EIA, Mr. Burdette worked in the marketing 9 10 department at a major U.S. oil company.

11 So, we're very fortunate to have all of you and 12 we thank you very much for your participation. And with 13 that, let's move to our first presentation, and that 14 will be by David Montgomery.

MR. MONTGOMERY: Thank you, I appreciate yourinvitation, and it's a pleasure to be here.

As both of the previous speakers noted, one of the fundamental factors driving gasoline and heating oil price volatility is crude oil price volatility. So, I will open the conference with a discussion of crude oil issues and I will try to lead into the discussion that I expect Professor Griffin will be providing of relationships between crude and product prices.

Let me begin with some of just the fundamentalsof crude oil. Crude oil has become a very typical

For The Record, Inc. Waldorf, Maryland (301) 870-8025

commodity market. The process which appears to underlie
 crude oil prices shows all of the characteristics of the
 classic mean reverting process with a very slight trend.

Now, I'm going to show a picture, because I'm visually oriented, even though several of my friends and colleagues suggested that I was going to need an inordinate amount of time to explain this, but in front of the audience of the FTC, I think we should be able to do this fairly efficiently.

This chart plots, first of all, spot prices from 10 11 crude oil from January 1st, 1989 to almost literally the 12 present. We can see that the prices are clearly 13 volatile. We had price spikes in 1990, due actually to 14 the Iraqi invasion of Kuwait. That price dropped rapidly back to the mid-twenties once the U.S. 15 16 demonstrated that Saddham Hussein had no capacity to harm Saudi Arabia's oil fields. Prices then bounced 17 around from a high of \$40 to lows of about \$15. 18 They 19 climbed again to about \$25 a barrel in the mid-nineties. 20 We had a tremendous collapse of prices to about \$12 to \$13 a barrel in '98 and '99. Since then, we've seen 21 22 prices climb back to another peak about a year and a 23 half ago, they dropped to another valley, actually at 24 the end of last year and the beginning of this year and 25 they've started to climb up again. So, the process is

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 clearly a volatile one.

2 The colored lines that you see here, the little 3 pennants flying off the starboard, are plots of the futures prices. The plot starts at -- for the price --4 5 the futures price for the next day closing, and then it 6 runs out 36 months. And we can see those futures prices 7 are confirming the same thing that we see looking at the averages of this volatile process, which is that 8 whenever prices are above the low twenties, the futures 9 10 markets expect them to return back down to the low 11 twenties. Whenever prices are below the low twenties, 12 the futures prices expect them to come back up to the 13 low twenties.

14 And this is a classic pattern for a process which is basically bouncing around a low twenties level. 15 16 But it's a very volatile process. The combination of short run inelasticity of demand for refined products, 17 of capacity restraints that sometimes appear in the 18 19 world market, and that frequently appear in the refining 20 sector, and the time lags for basically getting around 21 capacity restraints and for shifting oil from one place 22 to another produce some large swings in prices. But I 23 think the most important thing we note from here is that 24 those price increases have been temporary, go back to 25 these points, and more so when there is excess capacity.

1 This is particularly the case in 1990, when the 2 world had about as much excess capacity as it has today. 3 And immediately after fears of the Iraqi invasion went 4 away, that excess capacity came online, and dropped 5 prices back down to pretty much normal levels.

So, we often have a cushion in world oil markets
that allows us to -- that makes it possible for
temporary price spikes to go away.

9 Now, oil is an exhaustible resource. Many of us 10 started our career as studying oil as something that is 11 going to be depleted and whose price must therefore 12 increase over time. How can we see this very long and 13 steady process in which crude oil prices have pretty 14 much remained in the low twenties.

The literature is almost unanimous on this and 15 16 there have been three developments in technology that have kept costs of production down, despite exhaustion 17 18 and the need to go to much more difficult and expensive 19 territories. We have the development of 3-D seismic 20 exploration technology, the development of horizontal 21 drilling that makes drilling much cheaper and makes it 22 possible to access resources with drilling fewer --23 putting fewer holes in the ground and through a smaller 24 footprint on the ground, and advances in deep water 25 technology, which has basically thus far kept costs

1 falling -- unit costs have been falling at about the 2 same rate as the depletion that we would have expected 3 to push things up. The question for the future is which 4 of those factors is going to win.

5 It has been hard for forecasters to become 6 convinced that prices are not always going to rise. 7 This is analysis of forecasters that has been provided by the Energy Information Administration in most of 8 their annual forecasts. You can see that with a couple 9 of exceptions back in the mid-eighties, which were 10 11 forecasts I was responsible for producing, generally the 12 forecasts were going up, but since about 1994, the 13 forecasting is pretty much in line with the statistics 14 of prices in the low twenties with, if anything, a gradual trend going upwards. 15

Now, I'll look a little bit at the institutions 16 behind the crude oil pricing. The first basic part is 17 the role of OPEC. The Organization of Petroleum 18 19 Exporting Countries had about a 40 percent market share 20 of global oil production in the beginning of 2001. The 21 production cuts which it undertook at the beginning of 22 this year have dropped that market share to about 37 23 percent. OPEC has efficiently targeted a price band of \$22 to \$28 per barrel, which OPEC would like to 24 25 maintain.

One other comment about the current -- no, there 1 2 is a huge amount of debate, which I will not go into at 3 all, about the effectiveness of OPEC as a cartel. One observation I would have is that for the last 20 years, 4 5 Saudi Arabia's behavior has been very consistent with 6 its acting as a unilateral profit maximizer based on its 7 market share and the residual demand elasticity it And in particular I did some calculations a week 8 faces. 9 ago.

It looks like currently Saudi Arabia's market 10 11 share, given the production cuts it took, is less than 12 10 percent of the market. The elasticity of demand for 13 crude oil based on demand elasticities for refined 14 products in the very short run is almost certainly greater than 0.1, therefore the residual demand 15 16 elasticity that Saudi Arabia faces is certainly around one or greater, which implies that Saudi Arabia has no 17 incentive to drive prices up further through production 18 19 cuts.

Now, OPEC actually engaged in production restraint at the end of last year. It announced late last year production cuts for January 1st, 2002 of 1.5 million barrels a day. Some non-OPEC countries, Norway and I think it was Mexico, also cut production by about 460 -- well, officially by 462,500 barrels, so that's

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

about two million barrels a day out of the world oil 1 2 market that has caused prices to rise this year in crude 3 markets, after they hit bottom in late November. But these production cuts also created significant excess 4 5 capacity, something like 10 percent of the world oil 6 production capacity. Most of it unfortunately is still 7 in the Persian Gulf, but that capacity does provide a significant cushion against further -- against future 8 9 disruptions.

Also, for the last 20 years, it's been very --10 11 only for very rare and isolated periods have we seen the 12 OPEC countries other than Saudi Arabia willing to 13 produce below capacity. The temptation to cheat is 14 simply too great, and so for long periods of that time we see all the rest of the OPEC countries producing 15 16 pretty much all they can, whether or not it violates 17 their quotas.

All of these things suggest to me that although price volatility will remain, further price increases from where they are today are unlikely without some worsening of the political situation.

Now, let me move from there to crude oil prices in the United States. This world oil market is what determines U.S. crude oil prices. There's a single world crude oil market. Crude oil is fungible, you can

buy and sell it, you can move it anywhere you please, it's substitutable at refineries on pretty well defined terms. Once it's on the ocean, you can move it anywhere that the ocean goes, at quite comparable costs. Cargos are frequently redirected on the high seas to go to wherever they're going to be returned the best price.

7 There are differences in crude oil prices that 8 are quite systematic. They've changed over time, but 9 they're due to quality and the needs of refiners for 10 different kinds of quality. And they are to some extent 11 due to transportation costs and transportation capacity. 12 Especially when we look at markets that are somewhat 13 more remote from ocean transportation.

14 Outside OPEC, I think that there's widespread agreement that there certainly are rents in crude oil 15 16 production, some areas can produce oil more cheaply than Some areas have location advantages, some areas 17 others. have quality advantages. So, there is a uniform price. 18 19 There is nothing to resemble a uniform cost to 20 production in different areas of the world. Overall, outside OPEC, the market has every evidence of being 21 22 highly competitive.

Now, another thing that we observed is that crude oil prices move together very strongly around the world. I've plotted here or actually my colleague, John

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

Hayes, in a presentation he did somewhat earlier, 1 2 plotted seven different types of crude oil. We see 3 movements that are very, very highly correlated. The one interesting trend that we see here that I thought I 4 5 would talk about for a few minutes is ANS crude, which 6 is Alaskan North Slope crude oil delivered in 7 California. Its price started out relatively low compared to the other crudes, and since the -- well, I 8 would say since 1993, which is when I'm going to start 9 10 talking about it, it's gradually crawled up to something 11 close to parity with the other groups.

12 Why does that happen? Well, although the world 13 crude oil market is in general tightly connected, and in 14 general indicator crudes move together, changes in supply in narrower markets don't always affect prices. 15 16 And therefore, and also in narrower markets, sometimes crude prices will move relative to other crudes. 17 In the west coast market, where Alaskan ANS crude oil is now 18 19 entirely consumed, what we call import arbitrage 20 conditions determine crude oil prices. They actually 21 create a price band. And the band is between the price 22 that a producer could receive by exporting the crude 23 oil, the netback of exporting the crude oil to the best 24 market it can get to, and the price of imports which is 25 the price that no one will pay anything -- no one will

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

pay anything above the price of imports for oil that's
 produced in Alaska or the west coast of the United
 States.

Since the mid-nineties, ANS crude has been up 4 5 against one of these pricing constraints. It has not 6 been the marginal source of crude oil for California, 7 and therefore hasn't affected California refined products prices. This is an argument which actually my 8 9 colleague, John Hayes, was planning on speaking here 10 until a family emergency came up, and so I wanted to 11 cover some of the topics, but I also wanted to credit 12 him and his colleague Carl Shapiro, our other colleague 13 Carl Shapiro with this analysis.

14 Before 1993, PADD V was a net exporter, and the price floor was the netback from the Gulf Coast, which 15 16 was the best price to export crude oil to, and the price 17 ceiling was in parity with imports. Around 1993, PADD V, Western United States, became a net importer of crude 18 19 oil. At that point, ANS crude moved up the import 20 parity, because the import arbitrage condition became 21 binding, that is the marginal source of crude oil was 22 imports, there was not enough ANS crude to supply the 23 full market, therefore it was no longer determining the 24 price.

25

Under these conditions, my colleagues also

1 concluded when they were working on the BP/ARCO merger 2 that they'll compete with a change in ANS supply would 3 have an impact on the price of ANS crude or on refined 4 products pricing in California, and that particularly 5 ARCO's production at the time of the merger did not 6 exercise any discipline on the BP prices.

So, we can find some interesting issues that need to be analyzed in particular crude oil markets, in order to determine what's the marginal price or what's the marginal source of supply that's determining prices, and what is it that actually is influencing refined product prices.

13 So, let me show another chart. I tend to prefer 14 visual correlations to others, and this chart is one which is actually taken from a very interesting EIA 15 16 report, which I think one of our panelists may have been associated with, on price changes in gasoline markets. 17 It shows that crude oil prices and spot gasoline prices 18 19 clearly move together, that we see periods when crude 20 price go up and gasoline prices don't, we see times when 21 gasoline prices go up and crude prices don't, but that 22 overall, we don't see, at least I don't see, any general 23 pattern of divergence between crude and refined product 24 prices.

25

However, there are circumstances in which crude

For The Record, Inc. Waldorf, Maryland (301) 870-8025

and refined product prices do become disconnected, 1 2 because although crude prices are clearly a fundamental 3 influence on gasoline price volatility, gasoline and other refined product markets have other factors that 4 5 appear. Because you take crude oil, and you process it, 6 in a refinery, that has a certain capacity, in a region 7 that has a certain capacity in a country that has a certain capacity and then you sell those products. 8

9 So, there are other things that are going to 10 jump up and confuse both our econometric analysis, and 11 sometimes policy makers, about why gasoline prices are 12 changing and why what's called the gross margin, the 13 difference between at which price qasoline is sold to a 14 refiner and crude oil is sold to a refiner might go up. That gross margin includes costs and it includes 15 16 scarcity rents.

There have been a significant number of changes 17 in processing costs both in the past and we could expect 18 19 to see in the future. Some of the really important ones 20 that have occurred in the last few years are the cost of 21 producing reformulated gasoline, both California 22 reformulated gasoline and the new federally reformulated 23 qasoline, which was required a few years ago. Second, 24 Unocal has successfully asserted patents on most ways of 25 blending reformulated gasoline for which its claiming

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

royalties that have been reported from one to three and 1 2 a half cents a gallon. That may be a transfer in 3 economist's terms, but it's clearly a marginal cost to a refiner for actually producing RFG, and renewable fuels 4 5 mandates or bans on MTBE will also raise refiners' 6 costs. They will increase gross margins, drive and 7 create again differences between product price improvements when they come into effect. 8

There are also scarcity rents. There have 9 10 clearly been scarcity rents in refining and marketing a 11 number of times in the past five to ten years. What I 12 mean by scarcity rent is something which I kind of illustrate in the next chart, for economists, which is 13 14 that to a first very crude approximation, we can think that the supply curve for refined products, the black 15 line, is basically flat. Average cost equals marginal 16 cost, up and to until you get close to, say, 95 percent 17 of capacity for the refinery. Then costs begin to rise 18 19 rapidly until you hit a wall, which is the capacity of 20 the refinery. This is true for a geographic market as well as for an individual refiner. 21

What happens is, when prices are down -- when capacity is down in the range where the spike curve is flat, where average costs, where costs really -- unit costs don't change over a pretty wide range of output,

1 then increases in crude prices shift the supply curve 2 upward, 100 percent of the crude oil price increase is 3 reflected by product prices.

But we can also get to other situations where what I call the high demand market equilibrium, where we have a demand curve that is up at a level that cannot be reached by the refinery at the, you know -- well, where if the price were at average cost, there would be excess demand.

10 In this case, we see scarcity rents. The price 11 is bid up to a level which is high enough to reduce 12 demand to the available capacity. This is a normal -- a 13 normal outcome in markets. Generally the refinery 14 industry has been very rapid in creating more excess 15 capacity so that they compete away all their profits, 16 relatively quickly, but we see this happen occasionally. And the reason we see it happen is because of events 17 like supply shocks, which move the capacity down. 18

19 The Commission has investigated several of these 20 in the midwest, I've done some work on -- and EIA has 21 had several investigations of these. Spike shocks are 22 due to refinery outages, ruptured pipelines, or 23 occasionally due to product import interruptions. We 24 like to think that some of the reasons gasoline prices 25 increase were due to interruptions of product imports

during the problems in the Venezuelan refining industry. 1 2 Demand shocks have also played a strong role. 3 Cold weather contributes to both the demands for heating oil and combined with unusual electricity demands was 4 5 probably responsible for a large part of the run-up of 6 the heating oil prices in New England a couple of years 7 ago. It was not the capacity to get the gasoline to New 8 England.

9 Some precautionary demand, which again we may be 10 seeing this year or we did up to a few weeks ago, as 11 traders were worried about, you know, events in the 12 Middle East and events in Venezuela. We saw refined 13 product stocks get up to the very high end of the normal 14 range. So, we may have seen some precautionary demand 15 that was putting pressure on the system.

16 And finally looking forward a little bit, an MTBE ban would be a significant demand shock. 17 MTBE is a component of gasoline. In reformulated gasoline, MTBE 18 19 presents about 11 percent of the volume. It's produced 20 from natural gas, not from crude oil, so its production 21 actually diverts -- the use of MTBE actually supplements 22 crude oil supplies and there are proposals in a number 23 of states to ban MTBE at some point in the next several 24 years because of its concerns about its effect on water. 25 If that happened, even if the MTBE was replaced

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

by ethanol, we would see a loss of about five to five and a half percent in our capacity to produce gasoline, which would be a significant supply shock in many parts of the country, and likely to disconnect gasoline prices from crude prices there.

6 Finally, the issue of boutique fuels, as the FTC 7 staff has noted, regional fuel specifications can cause regional price spikes for refined products even in a 8 market where there's plenty of product available nearby, 9 10 but it can't be brought in because it doesn't meet the 11 narrow specifications of the particular market, 12 particularly a problem for ethanol in the midwest -- in 13 the Milwaukee and Chicago area.

14 Let me finish, then, with the current situation. 15 Since January, crude oil prices in the U.S. -- in Texas 16 rose by about 21 cents a gallon, gasoline prices have risen by about 30 cents a gallon, leaving about nine 17 cents unexplained by crude oil. There are a number of 18 19 reasons for this. Chairman Muris mentioned some of them 20 at the very start. Reformulated gasoline costs more to 21 produce than nonreformulated gasoline. During the 22 summer, we are in the transition process to summer RFG.

There may have been some precautionary building of stocks, which tightened markets. There is a normal swing in prices, to where a rise in gasoline prices

induces refiners to maximize gasoline yields. 1 Perhaps 2 even more important in the first quarter this year, 3 refiners were in deep trouble. The refinery industry experienced long periods of depressed profitability in 4 5 the eighties and the nineties. It got some temporary 6 relief in 2000 and 2001, but that was followed by really 7 an abnormally low price in the margins in late 2001 and early 2002. 8

9 So, about a ninety cent increase in refinery 10 margins in many ways is moving towards -- is moving net 11 margins toward a more normal level that same time it's 12 probably some significant increases in cost and is 13 certainly associated with tightening of the markets.

A final comment, there's nothing unusual that I can see in any of these developments. They're all the normal consequences of the operation of supply and demand in a fundamentally commodity-based industry with inelastic demand, tight capacity constraints at times, and a lot of uncertain events that can create both demand and supply shocks.

21 Thank you.

25

22 (Applause.)

MS. DeSANTI: Thank you, David. Now we'll moveto our next presentation by Dr. Jim Griffin.

MR. GRIFFIN: Thank you, it's a pleasure to be

1 here.

Today I want to talk -- I'm afraid I may bore you with a lot of academic things that academics worry about, and a lot of you policy folks could care less, but the two subjects do interact.

6 I'm presenting a paper that I've done with a 7 graduate student of mine who is just finishing this 8 year, Lance Bachmeier, and the question is Rockets and 9 Feathers or Efficient Markets? Evidence From Gasoline 10 Markets.

11 Now, I'm particularly concerned about the issue 12 of the relationship between shocks in crude prices and how they affect gasoline prices. And the rockets and 13 14 feathers paradigm was first set forth by Robert Bacon in a paper in 1991 looking at UK data on how gasoline 15 16 prices in the UK responded to crude price shocks. And 17 the way the story goes is that when crude oil prices spiked upward, gasoline prices shoot up like a rocket. 18 19 And then when crude oil prices tank, gasoline prices 20 drift downward like a feather in the wind.

And if any of you have ever been out to west Texas, where George W. is from, where the wind blows really strong, that feather may never reach the ground. So, and so this immediately has raised the question, well what are the policy implications, if this rockets

and feathers paradigm is really true, about gasoline
 prices as the explanation oligopolist behavior? Of
 course that seems to be the fashion in Washington these
 days.

If you look, though, at some of the economics 5 6 literature, there's an inventory adjustment story that 7 would argue that this can happen under normal competitive market conditions. But the other thing that 8 I would like to say is that if this paradigm is false 9 10 and gasoline price responses are rapid and symmetric, 11 underline rapid and symmetric, this is support for a 12 very efficient market story.

And so, the question is, if we're going to look 13 14 at asymmetry, we need to think about the various levels at which asymmetry can manifest itself. And if you 15 16 think about a crude price shock, then affecting spot gasoline markets, like in Houston or New York or major 17 wholesale markets, and then they're translated to 18 19 individual city terminals, and then that shock could go 20 through to the dealer tank wagon, and all the way to the 21 retail pump. And the question is, well, asymmetries can 22 potentially manifest themselves at all of these levels.

What I'm going to talk with you about today is this linkage here between the refiner and the spot gasoline market. And in large part that's dictated by

the fact that the data are so much better in analyzing
 that particular level.

There's been a variety of studies that have looked at asymmetries. And it's sort of disappointing for a policy type to look at all this and say, gosh, it's just a matter of you pick your -- you pick your report and you can get any answer you want. It's sort of a sad state of affairs.

9 The best paper of the lot is by Borenstein, 10 Cameron and Gilbert that appeared in QJE '97. They used 11 weekly U.S. data, they -- the model they used was based 12 on first differencing the data. I'm going to argue to 13 you that that's very important. They found that there 14 was asymmetry particularly at two levels. They found 15 that there was significant asymmetry in this linkage 16 here. Then given that asymmetry, the transmission from 17 this market to this market showed symmetric responses, and then the other asymmetry they noted was down at this 18 19 level, at the retail level. And they -- their paper is, 20 I think, a very excellent paper, probably I would urge 21 you if you're interest at all in the issue, you should 22 read their QJE paper.

Another paper was by Robert Bacon, I mentioned, he was the first one to look at this data. He used a -an econometric specification using price levels, and

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

there's a fundamental problem with using price levels, when the -- when you're trying to test for asymmetries where prices are changing, and apparently this is kind of slipped him by, but it really doesn't -- there's some real methodological problems with doing that.

And I'll note that the Borenstein, Cameron and Gilbert used first differences, which is the correct way to approach the problem. But Bacon found that there was slight evidence of rockets and feathers.

10 Another paper by Balke, Brown and Yucel, Federal 11 Reserve Board out of Dallas, close to my home in College 12 Station, they said well, you can kind of pick -- you can 13 pick whatever data source you want and get whatever 14 results you want. And they used levels data and claimed the market was symmetric, and then they used first 15 16 difference and they found asymmetry. Well, if that's true, and levels is not the way to go, then their 17 results using first differences agrees with Borenstein, 18 19 Cameron and Gilbert.

Finally the EIA did a study, they used first difference data, and at the level -- now, let me say this: They found symmetry in looking at this -- at this level, at the transmission between the crude price shock and the regional spot, they found asymmetries there at the last stage, at the gasoline pump.

Well, you say, well, how am I going to advance 1 2 the state of knowledge? Is this just going to be the 3 fifth paper we list and you say, well, Griffin came up with yet another result, and unfortunately, we tend to 4 5 just do our econometrics and we never ask, well, why are 6 our results different than theirs, and we usually start 7 it like to say well, it's just due to the data, we used a little different data set, because Borenstein, Cameron 8 and Gilbert used weekly data from, oh, I think it was 9 10 '85 to '92, our data set was used daily data from 1985 11 through 1999 -- '98, I'm sorry.

12 The basic -- what we've done is we use what's called an error correction model. And the idea is this: 13 14 That if we observe a change in -- we want to look at the 15 observed change in gasoline prices. As a response to an initial shock in time period T, what is the shock 16 that -- and this is the initial impact, if, for example, 17 price of crude rises by a dollar, beta here, if beta was 18 19 0.8, that would say that gasoline prices would rise 20 initially by 80 cents. And then you have this parameter here that basically measures an adjustment process, and 21 22 that's where the name error correction model.

The idea is that there exists a long relationship between gasoline and crude prices. And of course we're holding constant issues like capacity

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

utilization, inventory levels and so forth. But the idea is that when gasoline prices get up above -significantly above crude prices, that's going to set in motion -- this data is a negative term, that it will tend to reduce gasoline prices back down to the desired level.

7 The asymmetric version of this model is very 8 simple, you simply have different beta and a different 9 theta for periods where prices are increasing, and then 10 when they're decreasing. And the issue obviously is are 11 these statistically different.

Now, let me grab a little water. Excuse me.Okay.

Well, what happens when you adopt this error correction model, and we look at first of all we estimated this thing allowing for different betas and different thetas to see what the difference in the response was. We're using daily data, and that's very important, because ours is the first study that's used daily data.

And what we found was very surprising. At least compared to these other studies. That the black line here shows the impact of a dollar crude price shock, an increase of a dollar. And this is saying that about 77 cents occurs in the very same day that you observe the

1 crude -- that crude prices shoot upward, you're going to 2 get a 77 cent adjustment in gasoline prices in that same 3 day.

And then the theta term then sets in motion an adjustment -- a subsequent adjustment, and you can see that it adjusts upward here and is on the order of about 90 cents out there. At the far end. These lines here are the two -- the two standard deviations, confidence intervals. Don't worry about them for now.

10 Now, that -- until the black line is a crude 11 price increase, now let's look at a crude price 12 decrease. And let's play like this is minus 80 cents, 13 minus 60 cents, minus a dollar, and let's let crude prices go down by a dollar, and what do we get? We're 14 going to get actually a slightly higher, not 15 16 statistically different, but about an 80 cent reduction in that very same day, and then the adjustment process 17 is a little slower, but ultimately the two will 18 19 converge, okay?

20 So, but the difference, the differences here, I 21 mean we're talking about, you know, a nickel on a one 22 dollar crude price shock. So, these are very, very 23 small differences. And certainly when you map the two 24 standard deviation confidence intervals, they're not 25 statistically different.

Well, there was a bothersome result. And the 1 2 question is, well, that it's just completely alien to 3 what Borenstein, Cameron and Gilbert got, and so the question is, well, why? And so the first thing we 4 5 wanted to do was, well, let's get their data, which was 6 weekly data, and let's estimate -- let's try to 7 replicate using their data, let's use their model the way they estimated it, and let's use -- and let's -- and 8 when you do that, sure enough, this is the Borenstein 9 and Cameron result, and it's very similar to what --10 11 this is estimated by OLS, theirs was two stage lead 12 squares, but this was the same result that they got in 13 their OJE paper.

14 So, there's your price spike up, and in fact, it 15 actually shoots up by more than a dollar. It shoots up 16 to about a \$1.30, and then gradually works its way down. 17 On the other hand, here is the negative shock, you know, 18 there's your -- there's certainly your feather.

And so looking at this why difference, you can see how they got the result of the symmetry. And so, you know, having replicated what they found, the question is, well, is this -- they did something a little different, though. And this -- probably no one in this audience will appreciate this, but when you're estimating, and only time series aficionados, this is

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

important to them, but, you know, if Engle and Granger were here, they would tell us that if you want to estimate this model here, you should -- you should first go and estimate this relationship separately, determine what is the long-run co-integrating relationship between crude oil and gasoline.

7 And the reason is these are integrated to order 8 one, and these variables here are integrated to order 9 zero. And when you mix and mesh them, you get all kinds 10 of statistical problems. And the correct econometric 11 method is to first estimate this relationship and then 12 if you want to go out and test for these differences, 13 do so.

They didn't do that in their QJE paper, and the referee didn't catch it. Okay? I still like their paper, incidentally. I mean, it's great. They wrote this paper in '97, and here I am in 2002 saying that I can do better. Well, you ought to be able -- any paper that's been written, you ought to be able to do better five years later.

But if you -- if you impose in the first stage estimating this long-run relationship correctly, what you get is here's the spike up, here's the spike down, and look how we've compressed the differences. And they basically go away. Very quickly.

So, a major problem with their analysis is the 1 2 way they estimated the relationship. Another thing that 3 ought to tell you there's something funny about their results, look at -- look at the long-run effect here. 4 5 Do we really believe that if crude prices rise or fall 6 by a dollar, that gasoline prices in the long run are 7 only going to change by 60 cents? I don't think so. You know, where's the other 40 cents going to come from, 8 unless those other product prices are going to rise more 9 than proportionally and qasoline is good for half of 10 11 that barrel.

12 So, and on the other hand, look what you get 13 from this relationship, and it's right on the dollar. 14 Okay? Which is what theory would tell us.

So, problem number one from what they've done is 15 16 you've got to estimate the thing correctly. And now this is using weekly data. The other thing we did is 17 that we used daily data. And the question is, well, 18 19 what effect does using daily data have? And so what we 20 did, using again the same time period, but now using the daily data over that period, we estimated -- I decided 21 22 I'll standardize on their -- the way they estimated 23 their model, so I'm going to -- even though it's not --24 Engle and Granger would say no, but I'm going to use 25 their approach, and of course you can see, they're both

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 converging down to 60 cents, okay, which is -- which 2 doesn't make any sense, but look what happens when you 3 go to daily data.

Here's your daily data differences, which are a 4 5 lot smaller than if you just -- if you just took weekly 6 data, took observations at five-day trading intervals, 7 now what's the intuition, why is it that -- that you've got these -- these kind of responses here at five-day 8 intervals? Basically when you're drawing data over a 9 10 five-day interval, you don't know when crude prices 11 spike upward whether they adjust completely in day one, 12 you know, or whether they adjust evenly over five days, 13 or whether they wait until just the eve of the fifth day, and then they adjust all at one time. 14

And so this illustrates, I think, pretty convincingly that -- that daily data is just a whole lot richer, and of course if you use daily data and then you use the correct specification, these differences just shrink to very little, and it's not really statistically important.

21 So, what are the conclusions that I would leave 22 you with, in terms of policy implications? First of 23 all, I think this is the important picture to remember, 24 and this is saying that for a dollar increase or a 25 dollar decrease, you're going to get about 80 cents in

1 that very same day. And the subsequent adjustment on up 2 to that -- it's going to get very close very quickly to 3 that -- that long-run adjustment, okay?

And this tells me that, you know, what's the big 4 5 deal? This market is behaving exactly the way we would 6 expect a competitive market would exist. We know 7 that -- that if this very active spot market for qasoline, don't you think that if crude prices spiked 8 upward and gasoline prices didn't adjust, don't you 9 10 think that we could all make a little money? 11 Arbitraging these differences away. And in fact, you 12 know, that's the -- that's exactly what we're seeing 13 here.

14 So, if we're worried about -- if we're worried 15 about asymmetries, let's -- I don't think we need to 16 worry about them between crude oil and the -- these wholesale book spot sales. There may be some 17 asymmetries that show up at the retail level. 18 And I --19 I don't know whether to believe Borenstein, Cameron and 20 Gilbert's results or not, after what I've been through 21 here.

You know, my whole frame of reference is gasoline prices in College Station and Waco, Texas where I go through on my way to the ranch and I always kind of see which market adjusts faster than the other. Waco

for some reason adjusts faster than Bryan/College 1 I don't know that in -- and I don't know the 2 Station. 3 explanation for that. I don't know that that's a critical public policy issue anyway, but, you know, 4 5 there may well be -- at different markets, there may be 6 certain rigidities, there may be certain -- the 7 competitive nature of the market can vary somewhat from one area to the next. 8

But I do think that this issue -- I think this 9 10 issue of asymmetry is probably not nearly as important 11 as the kinds of issues that you're going to be coming to 12 grips with later in that these boutique fuels, and 13 different qasoline standards, quality standards, where 14 they're different all over the country, that can really introduce some rigidities in the system, because you --15 16 you've got a complex system where these refineries have been built, they've been optimized to produce the 17 certain types of gasoline. 18

19 They have associated with that mix a whole set 20 of processing units that have all been in place, capital 21 investments made, environmental standards met, and now, 22 you know, you come along and you -- and every little 23 change by itself probably, you know, by itself, really, 24 okay, this refinery can make that adjustment, and 25 provide that type of gasoline for New York City, or

whatever. But when you keep -- keep adding different layers of these constraints one on top of the other, then little things like one particular refinery going down that happened to produce one of these boutique -- a large fraction of a particular boutique fuel, that can really create big price spikes.

7 And this -- I don't know the answer to it, I 8 just think that the American consumer needs to know that 9 if we're going to keep adding more and more of these 10 boutique fuels, they should expect price spikes and 11 other types of disruptions, and they're going to occur.

12 And I did a study, doctoral dissertation many 13 years ago, I would hate to tell you how many, but one of 14 the things I looked at was how to measure capacity in a petroleum refinery. And what I found was that -- that 15 16 as you approach 100 percent of distillation capacity, in fact, even before you get there, you start maxing out on 17 individual processes within the refinery. And in fact, 18 19 the marginal cost curve starts to rise, and I think it's 20 even when you went above 90 percent of distillation capacity, it started to rise, and as you approach 100 21 22 percent, it just becomes vertical.

And so, we need to keep that in mind, because we're operating in a world where capacity utilization is very high, and then we've got these fuel specs that are

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 adding additional complexity.

2 Okay.

3 (Applause.)

MS. DeSANTI: Thank you both for very 4 5 interesting presentations. I would like to start by 6 seeing whether our other panelists have some comments 7 that they want to make or questions to ask, and I also want to put out on the table for discussion -- a 8 question about the relationship between the development 9 of futures markets, since the 1980s. And the extent of 10 11 inventory holdings and whether the development of the 12 futures market has affected inventory holdings and then 13 any connections between that and retail prices. So, but 14 first if there are other comments or questions that you 15 want to raise in response to the presentations, please qo ahead. 16

I just have a brief question for 17 MR. BURDETTE: Dr. Griffin, in that I did participate in the EIA study 18 19 that you referred to, and I am not an econometrician, so 20 don't worry, I am not going to take issue with any of that. But a curious question, not having read all the 21 22 details of your study, when you compared crude -- spot 23 crude to spot qasoline prices, how broadly did you 24 define the spot gasoline prices? Did you limit yourself 25 to, say, the Gulf Coast?

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 MR. GRIFFIN: We in this particular study, yeah, 2 we did, we used the Gulf Coast, but we looked at -- we 3 looked at a couple of other markets and saw that the 4 results were going to be very similar.

5 MR. BURDETTE: Because I know that in our work, 6 one of the interesting aspects of it and one of the more 7 difficult aspects was the differential movement of spot qasoline prices at a given time, particularly, say, the 8 west coast versus the rest of the country where world 9 10 crude oil prices were certainly moving together, if we 11 assume that they are -- as well correlated as both 12 speakers showed that they are, and yet different 13 supply/demand issues going on, say in a west coast 14 market versus the rest, it's difficult to filter out that noise from the type of analysis that you're doing, 15 16 isn't it?

Well, the west coast is 17 MR. GRIFFIN: geographically isolated from the other -- from the rest 18 19 of the country. And refinery -- if you have a refinery 20 shut down or some such on the west coast, it's not going 21 to have any impact at all in the other districts east of 22 the Rockies, but it can -- it can have a big effect 23 there. And, you know, I would say that the estimates of 24 those long-run co-integrating relationships would be 25 different probably for California than they would --

1 than they would be for the east of the Rockies, but I -2 I'm totally convinced that -- that this kind of analysis
3 could equally be applied on the west coast. I haven't
4 looked at it, I don't know whether it's symmetric or
5 asymmetric, but it would be easy to determine.

6 MR. BURDETTE: That's the next paper, right? 7 MR. GRIFFIN: No, no, this is it. I've got to 8 move on to other things.

9 MR. BURDETTE: Thank you.

MS. DeSANTI: John?

10

MR. FELMY: Yeah, I would like to start by thanking the FTC for holding this conference. I think it's very important to get this information out to the public, to discuss what really does drive gasoline markets, and we especially appreciate being invited to present our views this week, because last week unfortunately we weren't able to.

18 I think these two papers by Dr. Griffin and Dr. 19 Montgomery really articulate something that we've been saying for a long time, and that's gasoline prices are 20 21 determined fundamentally by crude oil prices as the most 22 important component and that it's a function of the 23 normally functioning market, as disturbed by a number of 24 regulatory changes that Dr. Montgomery pointed to in 25 terms of the investments we've had to make on both

investing in upgrading refineries for emissions, and
 also for producing new fuels.

I have a chart back there that unfortunately I 3 don't think I can get the easel to work, but it shows 4 5 all the different types of boutique fuels we face. 6 Basically there's 18 that are required, either directly 7 as a result of the Clean Air Act or as state implementations, and then one generic product, 8 conventional gasoline. And this really brings it home 9 10 to everyone who doesn't know that these exist.

What a difficult problem it creates for the petroleum industry, where you have situations where Maryland has three types of gasoline, it's a relatively small state. Texas has, what, four I guess, and so on.

15 These presentations also show that the symmetry 16 is in the market, that you have -- that you don't have the rocket and feather assertions that you typically see 17 that, and if you look at daily price data for gasoline, 18 19 just as going to the retail level, you see that over the 20 past -- the past year, and I can provide this graph to 21 anyone, the price increases and price decreases were 22 perfectly symmetric. You can fit a parabola next to 23 them and it's a perfect fit in terms of the increases 24 and the decreases.

25

But it's also important that we've seen this

year price increases in gasoline, that as David 1 2 mentioned, were substantial. Crude oil prices went up by over 50 percent, over 55 percent, gasoline prices are 3 up over 25 percent, and that's not surprising. 4 We've 5 also had strong demand this year for petroleum, it's 6 running according to EIA estimates I guess year to date 7 so far around two percent, and so when you've got strong demand, we've got also record levels of production for 8 9 qasoline this year. It shouldn't be a surprise to see 10 what's happening. Prices ran up to in the \$1.42 range 11 by the middle of April and basically flat four months as 12 crude oil prices have been flat over that period.

So, I want to compliment the presenters for putting forth an articulate position on what has happened in markets so far.

16 MS. DeSANTI: Okay, thank you. Let me go back to one of the questions that I would like to get to, 17 which is the role of the futures market. 18 We would 19 typically think about futures markets as providing some 20 kind of insurance against price volatility. But as your data seems to indicate, crude oil price volatility 21 22 continues. So, I'm wondering, do you have views on the 23 role of the futures markets and its relationship to spot 24 market prices?

```
25 David?
```

For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 MR. MONTGOMERY: Yes. I think -- I don't think 2 there is a direct connection between futures markets and 3 the volatility that we see in oil markets. That is kind of two statements. One, I don't think that the -- it 4 5 does not appear that the introduction of futures markets 6 has changed the kind of large low frequency volatility 7 that we've seen in futures markets, and I wouldn't expect it to, because I see futures markets as something 8 that have certainly contributed to the efficiency of oil 9 10 They have provided opportunities for hedging markets. 11 that were probably much more costly and difficult to 12 arrange, therefore probably to some extent, made it 13 possible to reduce some of the risk that traders see in 14 the market, but futures markets do not create or destroy 15 oil. Therefore, they are not going to be able to change 16 the fundamentals of when there's a war in the Persian Gulf, there's less crude oil in the market and the price 17 18 is going to go up.

Also, I think the linkage between futures markets and inventory behavior is really important. That's one of the things that futures markets allows them to do is to lock in the arbitrage gain on inventories. I buy if I see the futures pricing going up and I buy additional oil for inventory and I know that I've locked in a price for it. Therefore to some

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

extent you might say that oil -- that futures markets - you know, futures markets probably have many partial
 effects.

One partial effect I think is to encourage more 4 5 inventory building when there's an expectation that 6 prices might go up. Therefore they would tend to 7 moderate price increases, because if the market sees that inventories are being built in the expectation that 8 futures prices are going up, well, then, rising --9 10 rapidly rising futures prices will not be in 11 equilibrium, because there is enough stockpiling going 12 on in the current market to offset them in the future.

13 The third factor that I think certainly matters is whether the expectation of future problems, that is, 14 15 for example, this year, the concerns that the war in the 16 Middle East is going to become worse, that Iraq's kind 17 of, you know, public relations gesture actually meant something about cutting production by a million barrels, 18 19 that the Saudis might restrain production further, all 20 that led to worries about the markets, that this all 21 might fall apart. Those were future events, if the 22 futures market goes up, that's going to have a 23 consequence for current behavior.

24 It's not clear to me that the futures market is 25 doing anything more than providing a better way of

centralizing the market's guesses about what's

1

2 happening, and then we see people, you know, responding 3 to those in incentives with changes in inventory 4 behavior, which can have a real effect on the current 5 pricing.

6 But all along I thought that the real and the --7 there's a real market and there's a financial market, the two of them are tightly connected to each other, the 8 financial market is not going to be able to do anything 9 10 in the long run, or even the moderately short run, 11 that's different from what the underlying fundamentals 12 -- physical fundamentals dictate, but it provides for 13 much more efficient ways of risk bearing and price recovery than we've seen otherwise. 14

MS. DeSANTI: Other observations? Michael? 15 16 MR. GRIFFIN: Well, I basically agree with David's analysis. I think the one thing that I would 17 add is that, you know, prior to the existence of these 18 19 futures markets, companies implicitly make its calculations in terms of their decision to add inventory 20 21 or fundamentally sell at today's prices and so forth, 22 but the good thing about these spot markets and these 23 futures markets is it gives us a -- it gives us transparency that we didn't have, and I think that's 24 25 terribly critical in that it allows -- it allows parties

other than major integrated oil companies to come in and take financial positions, and, you know, and the ability of arbitragers to come in, I think makes these markets a lot more efficient than they would have been otherwise.

5 So, I think it's been a -- it's been a good 6 thing. Even though in terms of David -- David's 7 fundamental point is that if we have a major supply disruption out in the Middle East, you know, Wall Street 8 has never -- or the NYMEX have never produced a barrel 9 10 of oil that's going to help us with any problems. So, 11 we're still subject to the vagaries of very inelastic 12 supply, we've got a cartel out there that makes 13 decisions not only on what's profit maximizing, but what 14 achieves their political goals at any point in time, and in addition to that, we have a very inelastic short-run 15 demand for petroleum products, and that's just a formula 16 for price volatility. And it's been here forever, you 17 can go back and look at the data all the way back to the 18 19 1920s and it's -- that's just the world we live in.

20 MS. DeSANTI: Michael?

21 MR. BURDETTE: Well, building on what Dr. 22 Griffin was saying, I was going to make the same point 23 about the transparency. I think it's very valuable from 24 the standpoint of the consumer who questions what's 25 going on with gasoline prices that at least at the spot

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

and futures price level, you might question what goes on 1 2 in the cushy spot market because it's relatively been 3 these days on a global scale. You might question, you know, the handful of refiners in a given product's spot 4 5 market, but when you look at the NYMEX and the numbers 6 of contracts that are traded on any given day, and the 7 presence in that market of both the commercials, the producers and the refiners, say, buyers and sellers of 8 crude oil, and the fact that speculators can participate 9 in that market, you have a very broad coverage there, 10 11 and the consumer and the political spectrum and everyone 12 else can be assured that there's full participation, 13 full and open participation in that market, and that 14 whatever influences there are being passed through.

The second thing is, too, and I think Dr. 15 16 Griffin touched on this in his presentation, that when 17 you look at the pass-through from crude oil to, say, spot qasoline prices, spot prices trading very closely 18 19 with futures, the fact that there is the availability to 20 arbitrage between -- just by a track spread trading --21 between crude oil and gasoline prices, say on the NYMEX, 22 means that that pass-through is going to be almost 23 instantaneous, the same way the pass-through as he 24 pointed out, because you don't have to be a refiner, you 25 don't have to build a terminal, to participate in that

1 market. Anyone with the money can go into the NYMEX and 2 via futures or options arbitrage between crude oil and 3 product markets. And that just assures that it's going 4 to be passed through quickly.

5

MS. DeSANTI: Thank you.

6 MR. FELMY: If I could add a couple of more of 7 I've looked over time at the inventory just comments. holdings of course, from the data, you saw inventories 8 of oil products and crude peak in the late seventies, 9 and going into the eighties, you saw a decline. 10 That's 11 coincident somewhat with the futures markets, and so if 12 you just look at it at that level, that would suggest 13 it. But there's also several other things going on.

14 First of all, you had introduction to computers 15 in that period, where people could manage their 16 inventories much better so you could keep track of it, 17 you didn't need to have excess inventories and so on.

18 Second of all, in the recent past, my 19 perspective on inventory holding is more a function of 20 two things. It's cost of inventory holding, and if you 21 look at the relation between what the price levels are 22 and inventory levels, you see an inverse relationship, 23 and the more expensive it is, the more expensive 24 inventory is to hold, and so as a consequence you hold 25 lower inventory.

But also, because we do have a refined product area, we have capacity constraints. We're really on a treadmill where the past several years we've been unable to build inventories because we're running flat out. In addition the boutique fuel problem complicates it because you can't import product to supplement that as easily because of the product specifications.

8 MS. DeSANTI: Can we clarify? Are you talking 9 about refined product inventories or crude inventories? 10 MR. FELMY: The latter discussion is on refined 11 product, but if you look in the former, if you look at 12 crude, I think the management of it in terms of using 13 computer control systems and so on.

MS. DeSANTI: So, would you say that over the last ten years, that inventory levels have tended to decline on average because of the introduction of just in time inventory methods through computers?

18 MR. FELMY: I think it occurred before ten years 19 for the inventory controls. Over the last -- you saw 20 going into the seventies and the eighties you had a 21 sharp decline, I think it was something like, for 22 example, gasoline was in like 260 million barrels of 23 inventory in the late seventies and now it's roughly 200 24 or so. But that down ratcheting occurred more of the 25 middle to the end of the eighties, so I think we've

experienced for the last ten years those improvements
 already.

MS. DeSANTI: And would you say the same is true for refined petroleum products, then, that that's the time period during which those changes and typical inventory levels occurs?

MR. FELMY: Yes, they're the same.

7

MR. MONTGOMERY: If I could just add to that, I 8 am actually having a memory of this, because I was in 9 10 the Energy Information Administration through the late 11 seventies through the late eighties, and through that 12 entire period, every season we discovered that inventory levels were below what we held was the minimum practical 13 14 level, the previous season, and we got through it without any difficulty at all. 15

So, the technology change clearly started in the 16 late seventies, because we were seeing, like I said, 17 every year we went below what we thought was the minimum 18 19 level at which the system would start to be disrupted. And I think it's probably -- John is right about 20 21 computer technology management, it may have had to do 2.2 with the rationalization of the refining industry as, 23 you know, small refiner buys went away, we had more 24 efficient, larger operations, a lot about the logistics and I'm not sure we do have a full understanding of, but 25

it clearly was starting in the late seventies and early
 eighties that we began to watch the necessary
 inventories decline dramatically.

MS. DeSANTI: Do you have any questions? If you
have something, go ahead.

6 MR. SILVIA: Yes, I wanted to shift the focus a 7 little bit and ask a broad question, which I think is of general interest to people looking at this industry. 8 Ι think both presenters today made reference to the 9 10 industry being competitive. Mr. Montgomery used a 11 supply and demand diagram, for instance, which is what 12 an economist typically uses to represent a very 13 competitive market. Dr. Griffin also saw a competitive 14 explanation for the price behavior he was examining.

My general question is this: Some people 15 16 looking at this debate perhaps see a bit of a disconnect from this kind of evidence -- characterization of 17 18 everything as driven by supply and demand -- and other 19 kinds of evidence that tends to surface now and then. 20 Perhaps in antitrust, we see this more often because we 21 are able to look at the internal workings of major 22 competitors in the industry.

And specifically, I would ask the panel, if they have any reaction to the following kinds of evidence or stories that emerge where we see that individual firms

clearly are not behaving as price takers in markets. 1 2 That there seem to be some instances at least where 3 firms move product around with the expectation that if they're going to have some impact on price through that 4 5 decision. And that kind of debate came up, for 6 instance, in the BP/ARCO case, at the Commission level, 7 where there was this examination of BP's practices of shipping crude oil to the Far East and having some 8 9 impact on ANS prices.

10 So, I would ask the panel if they have any 11 general reactions of how does one square these kind of 12 views of firms seemingly departing from pure price 13 taking behavior with characterizing the industry as 14 working very competitively?

MR. FELMY: Well, I could start. First of all, that's in terms of price taking behavior versus your moving product around, that's the duty of every business. In a competitive economy, you have to manage your business, the oil business is no different.

If an auto company overproduces vehicles, they cut down on production. Just as if you've got too much product as a company, you will cut your production, if you're losing money on them. So, that's -- that is not indicative of anything other than proper business manager moving his business.

1 The important thing is it is without collusion. 2 And if it's the individual actions on recognizing that 3 you have a market and that may be oversupplied, then you 4 reduce your supply.

5 MR. MONTGOMERY: Actually, some of my 6 colleagues, as you know, worked on some of the cases 7 that you talked about, so I don't want to generalize too 8 much. I think that in seeing -- I guess sort of offer 9 three observations.

One is that seeing that firms -- seeing that 10 11 someone has written a memo within a firm, talking about 12 influencing a market does not mean that they accurately 13 perceive the market or that they are correct that they 14 could succeed in doing that. It's simply expressing a 15 perception. They need to actually look at the market 16 itself to ask whether, in fact, the company in which, you know, in which someone was expressing that desire or 17 belief or wish did, in fact, have the power to affect 18 19 the market.

The second one is, if we define our temporal market narrowly enough, we will always get to the Marshallian very shortly. Back when I was in graduate school, you know, Alfred Marshall talked about the fish market, and when we get to 5:00 in the afternoon at the fish market, supply is inelastic, demand is inelastic

and the price is going to go to whatever it takes to get
 rid of the fish before they spoil.

Therefore, anybody who has some fish on that 3 market can probably have a significant influence on the 4 5 price in the very short run. That does not imply, and 6 what that might mean is there is one fisherman who still 7 has a load of fish that he hasn't sold and that fisherman is going to have substantial influence on the 8 9 price by deciding whether to try unload all of them or 10 fry them.

11 That does not change the fact that a market in 12 which 100 fishermen arrive in the morning every day is a 13 competitive market. And I think that's probably what we 14 saw in many of the cases that we're concerned in the 15 transaction you're talking about that sure, it may well have been that one cargo, if it went to one place on one 16 particular day, you could see that it would affect the 17 price on that particular day, but that's the wrong time 18 19 period and the wrong market to look at in asking about 20 competition, you know, overall levels of competition in 21 refining.

MR. SILVIA: Okay.

22

23 MR. GRIFFIN: I think there probably are 24 instances where -- where a particular crude oil, because 25 of its availability and because of its unique

characteristics, a company may very well decide that 1 2 maybe I should sell it in market A as opposed to B. Ι 3 think that the important point, though, is that if you look at the long-run relationship among different 4 5 crudes, those differences are very, very small, and even 6 though ANS crude, you know, even if you accept that 7 there might be some small market price effect, that price effect has got to be so small, just because of the 8 existence of other crudes of similar quality that can be 9 10 brought in.

11 So, what I'm saying is, yeah, there's -- there's 12 margins where a company does have some power over their 13 price, but the relevant question is how big is that 14 margin, over what range can they exercise discretion, 15 and it's got to be small.

Now, one thing that concerns me from a 16 competitive point of view is I guess if I was here on 17 behalf of the petroleum refiners, I would probably be 18 19 saying, right on, EPA, keep on -- we want even more 20 boutique fuel types. In fact, we want one for every 21 city in America. Because, you know, the effect of this, 22 you talk about creating little margins and little market 23 niches for certain refiners that you can actually confer 24 little pockets of monopoly power on certain refiners 25 because they happen to be right there, they've got a

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

refinery that's configured to make this particular
 flavor of gasoline and they'll -- they will exercise
 market power in that kind of world.

And I think that the -- so, you have a combination -- you've got a combination of things that are at work here. You've got regulations can actually create little pockets of market power. And we ought to recognize that that's one of the side effects of doing so.

10 You've also got -- you've got markets that --11 that are already operating at a high level of capacity 12 utilization. So, and those are precisely the markets 13 where an individual refiner, they don't have to be --14 they don't have to be colluding. If you're in the fish market and you're the only guy with fish left, you can 15 decide whether you want to sell half a load of fish or 16 the whole load, and I'll bet they make a calculation and 17 figure out which one would yield the most money. 18

And so, what we're doing is when we get into periods of tight capacity utilization, combined with these boutique fuels, it really does create some rigidities in the system where the market doesn't work particularly well. But I think the important thing you've got to remember, I guess because I go back and tell consumers in general, is that if the refining

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

business is such a great industry, why have the returns been so terrible? You know, in terms of the long-run return on -- in petroleum refining and marketing, it's been a lousy industry to have invested in. I still wonder why the majors are still out there doing this, but they do.

7 MS. DeSANTI: All right. Well, we were supposed to end at 11:30, but I am curious about one point, 8 9 David, that I would like to follow up on from your 10 presentation, which is I believe that you said that if 11 MTBE, if the MTBE requirement were eliminated, that 12 would be a significant demand shock that could cause the 13 loss of five to five and a half percent of capacity, 14 even if it's replaced with an ethanol mandate, and I'm wondering if you could tell us sort of more about the 15 16 data on which -- on the basis of which you're saying that, because obviously this is a current topic, and so 17 I think we would like to know a little bit more about 18 19 it.

20 MR. MONTGOMERY: Thank you. Yes, let me just 21 walk through the calculation in about four steps. 22 First, this applies directly -- the calculation I am 23 going to do applies directly to reformulated gasoline. 24 It applies to some extent to other kinds of gasoline, 25 but I've done it for reformulated gasoline, which

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 constitutes about, what, 60 percent of total gasoline, 2 50, 40?

3 MR. FELMY: About 30.

MR. MONTGOMERY: About 30, okay. So, for about 4 5 a third of the gasoline, there is an oxygenate 6 requirement, that the gasoline must contain two percent 7 by weight of oxygen. That requirement is satisfied today by MTBE, by blending in approximately 11 percent 8 MTBE in order to get to that two percent oxygen. 9 The 10 reason why I'm saying I'm doing this on reformulated 11 gasoline areas, in reformulated gasoline areas, there's 12 maximum oxygenate content that's also specified.

Ethanol -- so, if we simply ban MTBE and 13 14 refiners don't put in any oxygenate at all, we would lose that full 11 percent of the volume of gasoline, and 15 16 you would be -- it would have to be replaced by something to make up the volume, and by particularly 17 expensive components, alkylates, to make up the octane 18 19 and the other good characteristics that MTBE has for 20 making a cleaner brand of gasoline.

If we combined the ban on MTBE with either maintenance of the two percent oxygenate requirement or with a mandate for a renewable fuels mandate, which ends up essentially requiring ethanol, ethanol contains about twice as much oxygen by weight as MTBE. So, to replace

the same amount of oxygen, you only need half as much
 ethanol. We also have limits on kind of ethanol
 capacity and how much ethanol could be produced to
 substitute for MTBE.

5 But just doing the straight calculation, it's 6 two percent oxygen requires 5.7 percent by volume of 7 ethanol, requires 11 percent by volume of MTBE, the difference between the 11 percent and the 5.7 percent is 8 what I should have calculated at 5.3 percent. So, it 9 10 would be a 5.3 percent loss of volume on at least the 30 11 percent of gasoline in which MTBE is required before 12 oxygen, but in large -- but MTBE is used in a large 13 remaining fraction of the gasoline pool and there would 14 also be a loss in volume there, too.

MS. DeSANTI: Thank you very much. Any final comments from our panelists? Particular points we should be paying attention to?

18 MR. BURDETTE: Well, I was just going to throw 19 in one, and it's fuzzy compared to the econometrics and 20 calculations we've talked about here, but I think one 21 big concern in talking about the drivers behind gasoline 22 prices, particularly with regard to companies behavior, 23 is that it's really in the eye of the beholder whether a 24 certain behavior by a crude oil seller or a qasoline 25 seller is rational corporate behavior or unreasonable

1 greed.

2 And I think it's necessary to tone down the 3 rhetoric a little bit and look at what the refiners say, refiners and producers say, what they are doing, as well 4 5 as how it looks to the regulators and consumers in terms 6 of what happens to gasoline prices. It is a much more 7 complicated calculation than simply do I sell that next barrel, do I make that next barrel based on what the 8 9 price is.

For instance, there was a situation that was 10 11 highlighted in the FTC's midwest investigation and 12 repeated in the one done recently by Senator Levin's 13 staff about were there those who held back extra product 14 in the midwest at a time of shortage, and I think the 15 important thing to look at there is just briefly, if you have extra product in a market like that, does it make 16 17 sense to you as a corporate actor to dump that product into a tight market, not merely for the impact that you 18 19 get from selling that, but the impact it has on the 20 price of all the rest of the product that you're 21 selling.

And there are things that might make great sense from a consumer's standpoint that make no sense from a stockholder's standpoint. And so one just has to understand that there's a spectrum of interests that

work there, and there's not one solution that equally
 benefits everyone in the market.

3 MS. DeSANTI: Thank you. MR. FELMY: If I could just add a couple of 4 5 points. I would like to thank you again for having this 6 hearing, because it's a marked contrast to what we heard 7 last week where the four points were from the Levin hearings and study were that we have high concentration, 8 so we have a lack of competition in the industry and I 9 10 think anyone who looks at that knows that that's not 11 necessarily true. Concentration does not mean a lack of 12 competition and you use the Intel/AMT decision as an 13 example of that. There were a lot of discussions about 14 price movements together by gasoline stations as somehow being conspiratorial when, in fact, we know that's the 15 workings of a free market, that you're going to compete 16 17 with your competitor across the street, and I think today's discussion reflected all of that. 18

19 So, I would like to thank you for holding this 20 hearing, I think it's good to bring all of these other 21 issues out, and of course Mike's comment on the eye of 22 the beholder is very important in all of these.

23 MS. DeSANTI: Thank you. Well, I appreciate the 24 contributions you all have made, we are indeed taking a 25 look at all of the different factors, including the

Levin report and all of the other sources that are out there on this, but I think this has been very helpful this morning. We will start again this afternoon at 1:00 to talk primarily about refining issues. б Thank you. (Whereupon, at 11:45 a.m., a lunch recess was taken.) 

AFTERNOON SESSION 1 2 (1:00 p.m.) MR. WROBLEWSKI: Why don't we go ahead and get 3 started so we can end around 4:00 this afternoon. 4 Good afternoon and welcome back to the FTC's 5 6 second public conference on factors that affect the 7 prices of refined petroleum products. My name is Michael Wroblewski, and I'm with the 8 General Counsel's Office here at the FTC. 9 This afternoon's panel will concentrate on 10 11 refining, bulk supply and transportation issues. 12 Similar to the format we used this morning, we will 13 start with four presentations that will provide a 14 foundation for the discussion of issues to follow. The presentations will be on the fuel requirements of the 15 Clean Air Act of 1990, price variability and volatility 16 in wholesale gasoline markets and perspectives on the 17 refining and pipeline industries. 18 19 Before we begin with the presentations, I would 20 like to introduce my co-moderators. To my right is Nick 21 Franczyk. He is an attorney in our Midwest Regional 22 Office who was instrumental in pulling together the 23 FTC's Midwest Gas Report last year. And then Jay Creswell, who is actually doing a 24 25 quick little duty in getting a name tag for our first For The Record, Inc.

Waldorf, Maryland (301) 870-8025

speaker, Jay is an economist in the Bureau of Economics,
 and he's played a key role in the review of several of
 the recent mergers in the industry.

Susan DeSanti, who was moderating this morning,
will also be joining us a little bit later.

6 Before we start with the presentations, let me 7 go around and I will introduce each of the panelists 8 first, and then we will start with the presentations.

The first presentation will be given by Mr. 9 10 Robert Larson, the Acting Director of the Environmental 11 Protection Agency's Transportation and Regional Programs 12 Division. In that role, he is responsible for assessing 13 transportation's role in conformity and state 14 implementation plans, reducing air pollution and implementation of programs aimed at reducing the impact 15 of motor vehicle fuels and fuel additives on air 16 pollution and toxic emissions. We are pleased to have 17 Mr. Larson with us this afternoon, and we look forward 18 19 to his presentation.

The second presentation will be by Dr. Thomas Hogarty. Dr. Hogarty is an oil industry consultant and Adjunct Economics Professor at Virginia Tech. Prior to his academic and consulting career, Dr. Hogarty was a senior economist and research manager at the American Petroleum Institute for over 18 years. Dr. Hogarty will

be discussing some general trends in volatility and
 variability in wholesale gasoline markets.

In the third presentation we will hear from Robert Slaughter, president -- recent president, congratulations -- of the National Petroleum and Refiners Association, the national trade association composed of those who own or operate 98 percent of U.S. petroleum refining capacity and petrochemical manufacturers with processes similar to refining.

10 As I said, Mr. Slaughter was recently elected 11 president of NPRA after serving as its General Counsel 12 and Director of Federal Relations. Mr. Slaughter will 13 discuss the most pressing issues facing the refining 14 industry as it moves forward to meet the demand for 15 refined petroleum products.

16 The last major presentation we will have will be from Steve Jacobs, who is team leader for Business 17 Development and Optimization at Colonial Pipeline 18 19 Company. In this capacity, he is responsible for 20 development and enhancement of Colonial's core businesses. He will provide a perspective of the 21 22 challenges facing the pipeline industry in a world of 23 varied refined petroleum gasoline products.

24 We have two panelists that will be acting as 25 discussants. First we have Mary Morgan, Vice President

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

for Kinder Morgan's liquid petroleum operations since
 2000. She's responsible for business development,
 customer service, scheduling, control center operations,
 regulatory planning and compliance for the pipelines and
 terminals associated with Kinder Morgan's West Coast and
 Pacific pipelines and its Plantation Pipeline.

7 Prior to the discussion, Ms. Morgan will provide 8 a brief overview of Kinder Morgan's operations so that 9 we have a better grasp of its operations here in the 10 U.S.

11 Also joining us as a discussant will be Dr. 12 Edward Murphy, Downstream General Manager for the 13 American Petroleum Institute. The downstream segment 14 includes the refining, marketing and transportation of petroleum products, including the delivery of these 15 16 products to service stations across the U.S. We thank Dr. Murphy for agreeing to participate again on behalf 17 of API, as he participated in the first conference we 18 19 held last August.

20 One other quick housekeeping note, we have had a 21 number of people ask about the presentations that were 22 presented this morning and the ones that we will hear 23 this afternoon, as well as the two papers that the 24 Chairman referenced in his opening remarks earlier 25 today. All of the materials are on the Commission's web

site. It's a little bit complicated to get there, but if you're on the homepage, there's a button that says "Formal Actions, Opinions and Activities." Click on that and you'll see another button that says "Public Conferences," and the first public conference listed is today's, and all of the presentations will be listed there.

8 So, on with the presentations. Dr. Larson, if 9 you would like to go first? Thank you.

10 MR. LARSON: Thank you, Michael. Thank you for 11 the introduction and turning the screen on, sometimes 12 the most difficult job.

As Michael mentioned, I'm going to be giving a little background on fuel from the Clean Air Act perspective, but first a little bit of background on the mobile source sector and why we think it's an important sector to look at.

First of all, we're interested in trying to do 18 19 our best to reduce mobile source emissions, and the 20 mobile source sector is a very significant contributor 21 to air pollution, representing over 50 percent of the 22 Nox inventory; 42 percent of the VOC, volatile organic 23 carbon, inventory -- these are the two constituents, 24 primary constituents that go into ground-level smog --25 25 percent of the PM-10 inventory and 80 percent of the

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 carbon monoxide.

2 As some background from the Clean Air Act, the 3 1990 Clean Air Act amendments were very instrumental in establishing the fuel programs that we have today. 4 Ιt 5 put in place both the reformulated qasoline program, 6 which was initiated in 1995 after a very lengthy 7 stakeholder and rulemaking process, as well as authorizing state fuel programs, which I will speak to 8 9 in a couple minutes.

The Clean Air Act established that the 10 10 11 dirtiest metropolitan areas in the United States were 12 required to have RFG, and it also allowed other areas 13 that had significant air quality problems to opt in to 14 Approximately 30 percent of the gasoline consumed RFG. is this cleaner burning reformulated gasoline, and as a 15 16 result -- these are very major metropolitan areas -- an estimated 75 million Americans are breathing cleaner air 17 as a result of the RFG program. The emissions impact of 18 19 RFG in just these areas is estimated to be equivalent to 20 removing about 16 million passenger vehicles from our 21 roads.

This is a slide depicting the federal mandated RFG programs, the opt-in programs. California's is designated separately. And then there's a small area there where -- to designate the Phoenix area

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 clean-burning gasoline program.

The Clean Air Act mandated that reformulated gasoline contain 2 percent oxygen. This has been achieved through -- primarily, at least -- through the use of MTBE, methyl tertiary butyl ether, and ethanol, with MTBE being a very large portion of the oxygenate used right now.

8 However, there's growing concerns with the water 9 contamination from MTBE, both real and potential, and as 10 a result, a number of states have already banned or are 11 considering banning the use of MTBE in their state from 12 the water quality perspective. And the pending Senate 13 energy legislation would eliminate the use of MTBE.

In addition to that, the amendments would remove the oxygen mandate for RFG and replace it with an ethanol usage.

We have estimated the cost of RFG compared to 17 conventional gasoline for summertime use and have used 18 19 these numbers over -- in many forms and over a number of 20 years and really haven't had them significantly 21 challenged, so the cost of producing a gallon of 22 reformulated gasoline is estimated to be in the range of 23 4 to 8 cents per gallon compared to the production cost 24 of conventional gasoline. Four to 8 cents is intended to reflect the range of refiners as well as the 25

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

particular fuels that -- or oils that they're starting
with.

When you look at just the summertime gasoline, 3 however, there's also RFG requirements for winter grade 4 5 gasoline. If you look at the difference between the 6 winter grade RFG and the summer grade RFG requirement, 7 the difference is not that large, and it drops to about 2 to 3 cents per gallon. This is the increment that we 8 9 would expect from a refinery cost perspective as you 10 transition from winter grade to summer grade RFG.

11 The states are preempted from adopting their own 12 fuel programs, but they are allowed to do so if it's 13 necessary to meet their national ambient air quality 14 standards in their areas, and a number of states and 15 localities have received EPA's approval to adopt their 16 own state fuel programs other than RFG, primarily 17 looking at reducing the gasoline volatility.

18 It's notable from our perspective that in 19 adopting the state fuel programs, the states go through 20 not only a public process but we think pretty much it's 21 common practice for them to consult closely with the 2.2 refining industry during the development of those state 23 fuel programs and pretty much uniformly are receiving 24 the strong support of the refining industry as they 25 adopt those state-specific fuel programs.

The National Energy Policy Development Group 1 about a year ago came out with recommendations that 2 3 directed EPA to study the issue of state and local, and what was coined at that time, boutique gasoline fuel 4 5 programs, you know, a specialized fuel requirement that 6 might be unique to a relatively small geographic area. 7 The goal was to look for ways to maintain and improve the environmental benefit that you would get from the 8 variety of programs, but in doing so, to look at ways to 9 10 improve the flexibility in the fuel distribution system 11 so that there would be a greater availability of fuel 12 and which I guess would have the potential impact of 13 improving the price picture for fuel. It certainly 14 would help address issues of lack of fuel availability in times of crisis when there's a pipeline or refinery 15 16 disruption.

There are a range of existing fuel programs with conventional gasoline having a 9 RVP nationwide, but there's a southern tier of states that use a 7.8 RVP. There are similar difference and requirements between the northern and southern RFG programs, then also whether or not you're using ethanol or MTBE as the oxygenate.

24 State fuel programs, again, largely focus on 25 reducing the read vapor pressure of the fuel, and as you

1 can see, there's a range of requirements there, from 8
2 down to 7 psi, and at least in one case looking at lower
3 sulfur as well.

We did a boutique fuels study. We consulted with the -- all of the stakeholders that we could get a hold of, including many of the refiners represented and associations represented here today, to look at just what was the state of the boutique fuels out there and what could be alternatives available to improve the fungibility of fuel.

11 It focused on the summertime fuel. We --12 following the mandate from the NEPD, we are looking at 13 ways to improve not only the fungibility of the fuel but 14 also the opportunity for improving the air quality 15 benefits.

16 We understood that as the states look at their 17 water quality problems, there's a growing trend for MTBE bans. We also understand that as states are looking for 18 19 improvements to air quality, especially as they look 20 forward to the eight-hour ozone PM standards, that their 21 fuels will -- the specialized fuels will again be 22 prominent, I think, in their efforts to reduce 23 emissions.

24 One of the conclusions that we did get from the 25 refiners was that the oxygen mandate is a primary driver

of some of these boutique fuels. In order to avoid the mandate, they will go with a lower RVP alternative in a number of areas.

Is there a problem with boutique fuels? Well, 4 5 it certainly has the air quality benefits, so from that 6 perspective there is not a problem. In establishing the 7 boutique fuel programs at the state level, state and local level, as I mentioned earlier, there was an 8 extensive consultation with all the stakeholders. 9 10 including the refinery industry, which generally 11 supported the establishment of those programs.

So, they are all put in place with a lot of forethought of what the supply -- you know, anticipating that there will be good supply available of the boutique fuel, and that system works well as long as, as pointed out here, there is not something that will cause a disruption in the fuel.

However, we have experienced some disruptions, and when that happens, then the primary issue is how do you get that boutique fuel? Sometimes there's not a local refinery that's able to feed that area with its unique fuel requirements, and that has caused some ongoing concern of the availability of fuel.

24 We also looked at the winter to summer 25 transition, and a lot of other people have as well. We

did so because we recognized over the last few years that there's a consistent, seemingly, price spike that occurs in the springtime. We proposed a range of options to try to address that winter-to-summer transition. Reformulated gas here we're speaking about, just that one segment of the fuel market.

7 After reviewing the comments and the information that we gained through that process, we finalized three 8 sets of changes allowing the upgrading of conventional 9 10 gasoline to reformulated gasoline. We eliminated some 11 blendstock accounting regulations that we deemed were 12 unnecessary and burdensome, and we allowed greater use 13 of a testing tolerance during the transition from summer 14 to winter.

15 It's our understanding that a number of 16 refineries or terminals, I guess is a better 17 designation, have been able to take advantage of this 18 test tolerance improvement and flexibility during this 19 past transition period.

20 So, in conclusion, we think that there have been 21 tremendous improvements in U.S. air pollution, even 22 though vehicles are still a major source of pollution. 23 The number of cars and trucks on the road are increasing 24 and the number of vehicle miles traveled continues to 25 increase for that population. So, the mobile source

segment of air pollution continues to be a concern, and 1 2 because of that, we think that clean fuel programs, just 3 as they have in the past, will play a significant role in helping keep our communities' air clean. 4 5 Thank you. I think that does it. That's it. 6 (Applause.) 7 MR. WROBLEWSKI: Thank you very much. Dr. Hogarty, please go ahead. 8 9 DR. HOGARTY: It's good to be with you. Μv 10 presentation, written presentation, is rather long, and 11 it's on the FTC website. Today I'd just like to make an 12 observation and then get on to three points. 13 I think the best way to start is I'll just run 14 through the observation and the three points and then talk about each of the three starting from the first. 15 The observation is that bulk prices of gasoline 16 are notoriously volatile and geographically variable. 17 And then the three points: 18 19 First, the causes of the volatility and the 20 variability are not really the problem. The problem 21 really is low profitability in the refining marketing 22 segment. 23 The second point, modest increases in refining 24 marketing price margins would mitigate that wholesale 25 price volatility but might make consumers worse off.

1 The third point, consolidation among the biggest 2 refiners and new competition from other refiners have 3 both contributed to lower but more volatile and variable 4 gasoline prices.

5 Okay, back to the first point. The proximate 6 causes of volatility or variability really are not the 7 problem. As just mentioned, occasionally there are price spikes, and sometimes those price spikes are 8 directly attributable to an accident. In California in 9 1999, there were a couple of refinery fires, and there 10 11 was a pipeline explosion. You can go back into the 12 historical record and you can trace a good part of the 13 price spike problem in California at that time to those 14 refinery shut-downs and the pipeline shut-down, clearly had a specific accident or accidents, and those were 15 16 causes for the event, the price spikes.

At other times, including in California in 1999, fuel mandates have at least been implicated in the price spike. Now, while the accidents in California were the specific cause, this price spike was greatly aggravated, made much, much worse, by the fact of a unique California blend.

23 Similarly, in the Midwest in 2000 and at other 24 places and times, special fuels have greatly contributed 25 to the observed price spike regardless of what may have

1 happened to the physical structure.

Another possible cause, a general cause of price spikes, would be the low price elasticity of demand for petroleum products, especially gasoline. In the very short run, a matter of days, the price elasticity is a very small number. Similarly with the supply elasticity, so if there is some mishap, it's hard to compensate.

Now, the FTC, in its Midwest Gasoline Price 9 10 Investigation, clearly identified I think a fundamental 11 cause, and that is the chronically scarce refining 12 capacity. Throughout the U.S. and especially in certain 13 areas, refining capacity is very scarce, and that 14 scarcity makes the whole system or parts of the system highly vulnerable to these price spikes. Almost any 15 16 small interruption is liable to lead to a sharp run-up in prices at the pump. 17

18 Lately I understand Energy Secretary Abraham has 19 concurred in that assessment, at least going forward, 20 saying that in the future we have to be more attentive 21 to the rising capacity utilization in refining, and it 22 may present a problem. I understand the American 23 Petroleum Institute also is somewhat concerned about the 24 future availability of capacity and whether or not high 25 and rising capacity utilization rates might make the

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 U.S. more vulnerable in the future.

2 But my contention is that the underlying problem is low profitability. Low profitability undercuts the 3 incentive to invest, and the lack of incentive to invest 4 5 means a chronic scarcity in capacity. In turn, the 6 chronic scarcity of capacity means that some areas are 7 especially vulnerable to accidents, and lastly, the chronic scarcity of capacity in turn caused by low 8 profitability makes any price spike much worse. 9 Ιt makes a boutique fuel problem worse than it might 10 11 otherwise be.

12 Well, how bad is the profitability in the 13 refining market? It's really terrible. Over the last 20 or so years, in a typical year, the rate of return in 14 refining marketing has been 5 percent. Now, think about 15 16 that, 5 percent over a 20, maybe longer, year period. That low rate of profitability is just not enough to 17 actually induce the investment that consumers say they 18 19 would want, and certainly it's not enough to induce the 20 investment that would prevent price spikes.

Now, why have profits been so low? A couple of reasons. One is that a significant fraction of the investment in the refining marketing sector has been directed toward pollution abatement and the production of cleaner fuels. These are worthy goals. As social

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

goals, they may be among the highest, but unfortunately, they don't exactly comport with what consumers are willing to pay. The tendency for consumers is to seek the cheapest fuel, and generally refiners have had trouble recovering their investments in cleaner fuels.

6 In addition, refiners face a difficult problem 7 of making costly investments with long lead times that depend on relative pricing, the relative price of crude 8 relative to products and prices among crude oils and 9 10 among different products. For example, a refiner might 11 invest in facilities to process low grade crude oil 12 based on historic price differentials between high grade 13 and low grade crude oils. By the time that investment 14 comes to fruition, the relative prices may have changed, so the expected profits are not realized. 15

16 Similarly, a refiner might invest in a capacity to produce higher octane gasolines. By the time that 17 investment begins to generate the higher octane 18 19 gasoline, the demand may have fallen. In fact, that has 20 happened. And indeed, to some extent, car manufacturers 21 have been reducing the octane requirements of the cars 22 they manufacture. So, again, the refiner finds himself 23 making an investment well in advance of anticipated 24 events that do not materialize.

25

One of the biggest reasons for the low

profitability in my opinion, at least, is refiners face 1 2 an all-or-nothing choice. Under the EPA rules, refiners 3 face a choice of either produce the reformulated fuels and make the pollution abatement expenditures required 4 5 to comply with the law, or shut down. Most refiners 6 most of the time have elected not to shut down. That 7 means that they've been required to make these expensive investments, which as I said, generally have not paid 8 9 off.

Over time, the cumulative impact of these increased investments adds up. So, you find from the historical record that refiners or the refining marketing sector has been increasing capacity slightly and investing more than has been depreciated and certainly investing more than they've earned in profits. A result has been sort of a capacity creep.

Well, there is a little bit of good news in the 17 recent record. Profits of refining and marketing went 18 19 up quite a bit in the late eighties. For a couple 20 years, there were a couple good years, and recently, '98 -- pardon me, '99, 2000 haven't been too bad. 21 So, 22 occasionally the profits do go up, and when these 23 profits go up, there usually is a pretty strong response 24 in terms of investment. I say that's encouraging 25 because it's indicative of the hypothesis or possibility

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

that if refining and marketing profits are much higher, much higher than they are now or have been, that the end result would be a great increase in investment, which would alleviate that problem of chronic underlying capacity -- low capacity.

6 Which brings me to the question raised by the 7 second point. The second point is that if you had 8 modest increases in the refining marketing margin, the 9 rate of return would rise, and investment would 10 increase, and capacity utilization -- capacity would 11 rise, prices would tend to stabilize, all for the good, 12 but consumers might be a little worse off.

13 I did a very crude calculation. I observed that 14 the net refined margin as computed by DOE recently for the last 20 years has been on the order of 2 cents a 15 gallon. Associated with that 2-cent-a-gallon profit 16 margin is a rate of return of 5 percent. 17 Μv back-of-the-envelope calculations -- and I emphasize 18 19 "back of the envelope," they may be wrong -- are to get a 15 percent rate of return, which I would call adequate 20 21 to induce the investment to help stabilize prices, the 22 refined margin would have to rise from, say, 2 cents up to 7 or 8 cents per gallon. 23

Now, that's a tripling or a quadrupling in the refined product margin, but in terms of the per gallon

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 impact, it's probably not too bad.

The upshot seems to be that based on my rough calculations, an increase of a nickel or perhaps a dime in the average gasoline price would induce investment sufficient to greatly stabilize prices, raising the question, well, what good does that do? Actually, that probably would make the refining marketing sector better off, but it might make consumers worse off.

As I said in my August 2001 written 9 10 presentation, it's my opinion or judgment that consumers 11 are better off with unstable prices, as they have been. 12 Unstable prices as they have been have been prices that 13 fluctuate around a declining average. In general, 14 gasoline prices at the pump have been declining, and I think that's worked to the benefit of the consumers, and 15 16 to a large extent that decline can be attributable to these occasional fluctuations. 17

Last, the third point. Consolidation among the biggest refiners and new competition from other refiners have contributed to lower but more volatile and variable prices. In the last five years especially, there's been a tremendous consolidation of refining capacity, and the biggest refiners today are bigger than the biggest ones ten years ago.

25

What is interesting is that much of this has

For The Record, Inc. Waldorf, Maryland (301) 870-8025

occurred through the merger and acquisition process, and 1 2 furthermore, the companies that have succeeded in the 3 consolidations have less capacity than those entering into it. That is demonstrated, as far as I can 4 5 determine, in that the combined firm ExxonMobil has less 6 capacity than Exxon and Mobil did beforehand. Generally 7 I believe that the biggest mergers have reduced the capacity in the hands of the biggest firms, and what has 8 happened is that a lot of the refining capacity has 9 10 wound up in the hands of what I might call independent 11 or merchant refiners.

Formerly, independent refiners like Tosco and now Phillips-Tosco and I'm told now Conoco-Phillips-Tosco have become extremely big, but Exxon, Mobil and Chevron, the big ones from five or ten years ago, are relatively smaller. Similarly, Valero, a refinery that was relatively small a few years ago, is now one of the biggest, Valero-plus perhaps I should call it.

Along with this consolidation of refining capacity has come a new distribution channel, and a new distribution channel principally comprises the hypermarkets, and that's really a topic for tomorrow, but it concerns today in this sense, that the hypermarkets like Wal-Mart offer a new distribution channel previously unavailable, and the significance is

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 that refiners like Murphy, Tesoro and many others that 2 previously lacked access to retail customers now have it 3 through the hypermarkets.

It's my belief that in the long run this will 4 5 encourage entry into refining and enhance the 6 competition that can be brought to bear by these 7 independent and merchant refiners. Very simply stated, I think that Murphy Oil Company is a much more 8 formidable competitor to all the other companies when it 9 10 hooks up with Wal-Mart than when it has to go out on its 11 own. Murphy, in effect, by joining with Wal-Mart is 12 eliminating -- is preventing -- is saved the necessity 13 of trying to recruit its own dealers and entice 14 marketers to sell its brand.

So, in sum, I would want to leave you with the most important point, I think, of those I made, which is at least in my judgment that low profitability is the cause of the chronic underlying scarce capacity, and in turn, this aggravates the problem of fuel spikes caused by fuel mandates and aggravates the general problem of accidents themselves leading to price spikes.

22 Thank you very much.

23 (Applause.)

24 MR. WROBLEWSKI: Thank you.

25 Mr. Slaughter?

1 MR. SLAUGHTER: Thank you very much. I wanted 2 to thank the Commission for the invitation to come back 3 and talk a little bit about refining issues. I'm Bob 4 Slaughter, National Petrochemical and Refiners, and we 5 have a broad membership across the refining industry, as 6 Michael mentioned.

7 I'd like to say just at the outset of this, I'm 8 going to move relatively quickly through a bunch of 9 slides, and a lot of people have seen much of this 10 information before, and through a few key points I want 11 to make and focus on.

12 One of the things I want to say, and Tom has 13 really set the table for this pretty nicely by talking 14 about the low profitability in the refining industry. We have a lot of problems in the refining industry. One 15 16 of my chairmen told me that he appreciated the fact that my constant message is how tough a business the refining 17 industry is, because he thinks it is, too. He's an 18 19 integrated. So, he sees all the different parts of the 20 business, and he thinks that refining is the toughest, and it is. 21

But I would like to say one thing, that even though it is a tough business and we have lots of challenges ahead of us, that the refining industry is really incredibly diverse today. We have a very diverse

refining industry. We have some of the largest
 companies in the world that are participating in the
 American refining industry in very significant ways,
 ExxonMobil, Shell, BP, ExxonTexaco.

5 We have other integrateds that are not guite 6 that big, like Marathon/Ashland, that are participating, 7 Phillips. We have strong independent companies like Valero, which has been mentioned, Sunoco, Tesoro and 8 others. We have more regional refiners like Sinclair 9 10 and Frontier. We have a really diverse industry, and 11 one of the things that I think people should take note 12 of is that fact and also that it's very important I 13 think to maintain the diversity of the refining 14 industry.

There are some things that could be better for 15 16 our industry, but there are some good things about it, 17 too, if it is getting the participation of so many different kinds of companies. So, I think we ought to 18 19 kind of adopt as a policy goal going forward that we 20 should try to maintain the participation of all those kinds of players in this business, because it results in 21 22 a healthier business and is better for American 23 consumers.

24These are facts that I think pretty much25everybody knows, basically the basic stats on what is

produced and what is -- what the demand currently is. 1 I 2 point to the bottom of this page, the EIA forecast, is 3 that petroleum demand will increase by 1.5 percent per year to 2020. As I remember, they see an increase in 4 5 crude plus product imports going from 10 million barrels 6 a day to 15 million barrels a day by 2020. Sixty-five 7 percent of the growth in imports is in refined products, not in crude, and I think that's very significant, 8 because it shows you where the future of the country is 9 headed under, you know, kind of a steady-state policy. 10

It means significant increases in refined product imports, where essentially if things are not done, we will be talking about how did the number of refined product imports get so high a few years from now and what was it that we didn't do? So, this is a very important stat that at this point hasn't gotten I think quite as much attention as it should.

18 Again, this is a chart that really shows that 19 the capacity of the average refiner has gone up; 20 however, the number of refineries is significantly down 21 over what it was in particularly the 1980 period. There 22 are roughly 149 refineries operating now. We're losing 23 one, the Hartford refinery, in Illinois in August. We're down a few refineries over the last several years. 24 25 Again, typical petroleum products, just pointing

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

out far and away on the average the largest volume product is gasoline. Still, that's only half the output of refineries.

Refinery production and petroleum product 4 5 demand, just showing something that I think everybody 6 knows now, that even now we are producing -- we are 7 reliant on some imports, because demand for petroleum products is higher than the domestic industry's ability 8 to produce, and as I've just indicated, EIA at least for 9 10 one and I think many others believes that we're going to 11 see a significant bump up in the dark blue line in years 12 to come unless something's done to counteract that.

Again, here is petroleum product imports.
Gasoline, I think we usually run at about 400,000
barrels, sometimes peak months 800,000. I think total
imports are something in the neighborhood of 2 million
barrels a day.

18 Capacity and utilization, as you'll see, we 19 utilize our refining capacity at near total utilization 20 I think we're currently in the area of 94 figures. 21 Last spring, we got up to 99 percent in the percent. 22 run-up to the summer months. We never get lower than 23 86-ish. This in any other industry would be considered 24 full utilization, and, you know, the only way you get by with steadily increasing demand, significant increasing 25

1 demand and fewer refineries is you have to use the 2 refineries that you have full tilt all the time, and 3 that puts a lot of stress on the systems, and it means 4 that sometimes there are outages, and then there are 5 some supply implications with that.

6 The new regulations we face are many and varied. 7 As you can see here, the projected investment requirements for several of them are quite significant. 8 The potential cost for these programs approaches \$21 9 billion in this current decade that we're in. 10 Manv 11 folks in the industry who have looked at the overall 12 investment requirements for the industry feel that we're 13 going to need more than \$30 billion of investment in the 14 refining segment in this decade, this amount of money in environmentally related investments, the rest of the 15 16 investment necessary to maintain current capacity and hopefully to increase it. 17

18 This is what we call the blizzard chart, which 19 just shows cumulative regulatory impacts on refineries, 20 2000-2008. It shows the various programs that we're facing, gasoline sulfur, on-road diesel, very demanding 21 22 programs, \$8 billion for Tier II gasoline sulfur, on the 23 same order of \$8 billion for the on-road diesel rule, 24 and more to come. There are a lot of investment 25 requirements here.

Just the on-road diesel sulfur rule is extremely 1 2 challenging. It's a very deep reduction. The industry 3 is going to have to make -- on top of the gasoline sulfur rule by the middle of 2006, the investments have 4 5 to be made, and there are separate investments on top of 6 the qasoline sulfur investments. We had urged the 7 previous Administration to postpone the effective date to get us out of doing two different investments in 8 programs in the same time frame, and that really was not 9 10 done, and one of the problems there, which was 11 highlighted by a National Petroleum Council report, is 12 the improper sequencing of these rules really puts a 13 tremendous burden for capital investment on the refining 14 industry, and it will result in refinery closures and further concentration in the industry. 15

As a matter of fact, the Premcor Corporation, in announcing the closure of its Blue Island facility last year and the closing of its Hartford facility this year, said basically it could not justify the gasoline and diesel sulfur investments in those facilities. So, we're already seeing some impacts.

22 We think there's still time for a better highway 23 diesel rule. We litigated this along with several 24 others as petitioners. We lost that suit last Friday. 25 There is going to be a review under FACA, under the

1 Clean Air Advisory Council at EPA of this rule. I know 2 API has already written a letter to that group urging 3 them to take a number of serious considerations into 4 account as they go forward. We're wanting to work with 5 that group to see what we can do to smooth the 6 implementation of this very challenging rule.

7 Mobile source air toxics I wanted to mention. There is a problem in this rule, which is essentially 8 established to prevent a back-sliding in air toxics 9 10 achievements in reformulated gasoline and conventional 11 gasoline. The problem is that refiners, regardless 12 of -- well, the refiners were left with their own 13 baseline as to what they were doing in terms of toxics 14 in 1999 and 2000 gasoline. They may have a very challenging baseline, for instance, the stat -- the spec 15 on reformulated gasoline benzene content is 0.095. 16 Some of them were actually at 0.048, and their baseline holds 17 18 them there.

You know, the benefit of over-achieving in the environmental area is being held to continue to over-achieve and spend extra money. This is potentially a very serious problem, particularly if MTBE disappears, because if you lose MTBE as a blendstock, it's going to be very difficult for refineries to produce this gasoline and maintain these low baseline levels.

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

We're unfortunately reduced to going in on a case-by-case basis to EPA on this to ask for relief if and when this happens, and NPRA for one has been talking about this with the Agency for a while, and we are concerned that particularly if we lose MTBE, there's a problem with gasoline producibility.

7 The other thing is this puts various kinds of gasoline in different boxes. For instance, it limits 8 your ability to switch back and forth in your production 9 10 between RFG and conventional gasoline, because they have 11 separate baseline requirements. Essentially it created 12 a boutique fuels program right here within the MSAT 13 rule, because it's very difficult to make different 14 kinds of gasoline, because if you affect your toxics emission on one of the pools, you're out of compliance, 15 16 so you can't switch back and forth as easily as you might because of supply requirements, outages, whatever. 17 Anyway, this is something that bears watching. 18

19 New source review reform we think is extremely 20 important. We tell everyone that there really is --21 this is the single most important thing that can be done 22 to protect the vitality and diversity of the American 23 refining industry. The current NSR program we believe 24 has been re-interpreted. We think it is misdirected. 25 As currently interpreted, it can require permits for

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

almost anything you do, including routine maintenance at
 refineries and other industrial facilities.

We think we're very much in need of further clarification of what these requirements are. We believe that we need additional market-oriented flexibility, like plant-wide applicability limits, the ability to go to those if we want to, which is basically a capping mechanism that takes you out of some of the elements of the NSR program.

10 We need to have a better understanding of what 11 constitutes routine maintenance and repair. The 12 Administration has initiated a study of this program. 13 We've participated, as have many others. We had a 14 meeting with 12 of our refining members. We gave the Administration 32 instances in which we felt this 15 16 program had hindered our ability to increase supply. We are hoping that we will get some proposed changes on 17 this situation. 18

In the meantime, there are enforcement activities taking place under the re-interpretation of the rule. We're very concerned about those, and they are an additional investment requirement on an already beleaguered industry. The settlements that have been announced of those who have had enforcement actions against them which they have settled constitute already

over a billion dollars in additional investment in capital plant within those refineries covered by those agreements over the next several years, and that's an additional investment required in the domestic industry that we feel in many cases is just not required by law.

At a time when we have to make all the other investments in our plant, it's very bad to have to basically do things that are unnecessary and counter-productive to settle NSR actions that we think are really inappropriately brought. We're hoping that the Administration recommendations to clarify this situation and hopefully improve it will be out soon.

13 On boutique fuels, a lot has already been said about this. Frankly, you know, a lot of this comes from 14 the colored maps that we took up to explain to Congress 15 16 what was going on in the Midwest in 2000, and to some extent they've been misinterpreted, because we were 17 trying to show people what the problems were in moving 18 19 supply around the country and, you know, how many 20 different requirements there were in individual areas.

It's the industry's job and expertise to optimize whatever the requirements are, and it does I think a fine job of optimizing them, and as pointed out in the EPA slides, I mean, when we have a disruption, there is a problem, but generally, we are able to take

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

care of the boutique fuel situations, and they are
 largely a reaction in our opinion to the 2 percent
 requirement for oxygenation in RFG, which some areas
 chose not to adopt for various reasons and decided to go
 to their own particular recipe.

6 Also, because of federalism, we understand also 7 it is fairly difficult to turn a state or locality down if they have a fairly well-reasoned claim that they want 8 one of these fuels. So, one of our concerns is that we 9 don't want the existence of the boutique fuel program to 10 result in the creation of additional gasoline 11 12 specification changes at this time when we have so many 13 other things to do that require investment.

14 Refineries just don't need another fuel change, and the fact of the matter is that if there are two 15 16 gasoline specifications and you're going to go to one, 17 you're going to go to the most stringent one of the two environmentally, and it's going to require the most 18 19 investment and probably also have a supply impact as 20 So, we've urged people to look at the boutique well. fuel situation, and that's being done. 21

EPA has done some of that. I think both the House and the Senate bill talk about boutique fuel studies, but we do think that the people who look at it should bear in mind that they should do no harm, because

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 the industry doesn't really need additional investment 2 requirements at this time.

Just a couple things on the Senate Energy Bill, I was asked to talk about that. It contains an MTBE ban and ethanol mandate, 5 billion gallons by 2012. There's a small refinery exemption. The RFG oxygenate requirement essentially goes away, it's waived immediately in California and everywhere in nine months.

NPRA opposes mandates and bans, and we're 9 10 worried about the supply impact of this provision. So, 11 we're not supporting it. There is another industry 12 point of view on that, and I'll defer to Ed Murphy for that during the discussion section. We do have supply 13 concerns about this, and, you know, we're hopeful that 14 we can get some changes, particularly in the Senate 15 16 provision.

17 A couple things, there is a credit trading 18 It makes things a little better, but we're not program. 19 sure that it makes things enough better. We're still 20 worried, again, that just because somebody can buy 21 ethanol credits, it doesn't replace the volume. Ιt 22 gives them a paper electronic credit. It doesn't 23 replace the volume foregone when you've lost 10 percent 24 of your supply in places on the East Coast and West Coast by losing MTBE. So, we have some concerns there. 25

Again, I was talking to Mary earlier, that we 1 2 always have problems with all of our transitions, and we 3 always underestimate the problems that we're going to have with transitions, and politicians are in the 4 5 business of being always optimistic about the chance of 6 other people doing what they've asked them to do. That 7 means we need to be cautious, I think, going forward with a big change like this, and I'm not sure that we 8 9 have up to this point really been cautious in looking at 10 what we're going to have to do over the next four years.

11 This is a little more on the MTBE ban. I've 12 just gone over this. There are future and potential 13 costs from losing MTBE. We basically at NPRA have 14 favored elimination of the 2 percent. We're not opposed 15 to a phase-down of MTBE, but we are concerned about a 16 ban, as I mentioned earlier.

17 The House bill doesn't address MTBE usage or the 18 ethanol mandate, and we'll see what the conference comes 19 up with.

There are some regional concerns on it. California just brought this up, but the governor, of course, extended the time for the California ban for one year because of concern about some of the necessary facilities to implement that and the impact on gasoline. The Northwest also seems to prefer gasoline

1 without either MTBE or ethanol, and air toxics

2 reductions achieved with MTBE are hard to replicate with 3 ethanol or with no oxygenate, and that was a point I was 4 making earlier. You have important problems if you lose 5 MTBE there.

Just, again, noting what our position is. I'm
sure Ed will have some more to say about that.

The Unocal patent, I just wanted to mention, we 8 9 have problems with the Unocal patent. We have urged the 10 Patent Office and have actually urged the FTC as well to 11 take a look at these patents for their impact on supply. 12 We appreciate the fact that both those entities are 13 currently looking at these patents. We think they don't 14 add anything except costs, and they're counter-productive. 15

16 The future outlook is this -- I wanted to say something for just a second about the Subcommittee 17 18 hearing last week on gasoline prices. The 19 recommendations that came out of those hearings 20 basically is that FTC should be more cautious about 21 mergers. I have referred everybody to Former Chairman 22 Pitofsky's statement before the Commerce Committee in 23 April of 2001 in which he details how careful the FTC 24 has been with mergers and how painstaking, and I think 25 anyone who thinks that they take merger proposals

lightly here should take a look at that testimony and also the track record of the current Commission over the last year. We don't think there's any reason for any merger moratorium, which was discussed by some of the witnesses there.

6 Also, for changing the law in cases of parallel 7 pricing, one of the economists who appeared the second day pointed out that there was some disagreement as to 8 what parallel pricing is and also what it indicates. 9 10 Shifting the burden this way, the problem that you have 11 is, as suggested by the Chairman in the Subcommittee 12 hearing, could be you significantly increase the cost of 13 doing business. You've increased your litigation costs, 14 and that's not going to do anything but increase the costs to consumers and also concentrate the industry 15 16 further as the cost of participating in the industry goes up. It's not something that we think is at all a 17 positive change, putting aside the fact that we think 18 19 it's unfair.

The other is to require oil companies to maintain inventory to avoid shortages. That also adds costs. It's not economic to maintain all of that inventory or the companies would be maintaining it, and several of the witnesses pointed out the very substantial cost of maintaining inventory and

recommended strongly against this particular
 recommendation.

And, you know, basically I've just gone over 3 these. You know, one of the things that is of concern 4 5 to me, I've been around here since 1970, like some other 6 people in the room. People seem to be reverting to a 7 desire for some kind of administered pricing system for gasoline, which was nothing but a disaster when we tried 8 it in the seventies. The problem is that the prices 9 tend to be stabilized, as Tom I think and others have 10 11 mentioned, at too high a level, and you get a lot of 12 inefficiencies and extra costs built into the system, 13 and you lose the volatility, but people end up paying 14 more in terms of higher prices, plus also shortages, things like gas lines. 15

16 Santana said, "Those who don't remember the past 17 are condemned to repeat it." I think there aren't 18 enough people around who remember the seventies or sat 19 in those gas lines or this type of thinking I think 20 would not be occurring.

Not really much more here that I haven't already said. I just pointed out that, you know, just one thing I'll leave you with is there's a lot of discussion about environmental investment costs. As Tom pointed out, those are for a very good cause, but again, the

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

1 environmental investments need to be made cost

efficiently. They're a very significant burden on the industry. They're not free. And we're hoping that we can find a better balance between our energy and environmental policies, regulatory policies and everything else.

7 We think that will be one of the most positive 8 things that can be done for the refining industry going 9 forward, and again, to maintain that healthy and also 10 diverse industry that I think we still have now.

11

So, thank you very much.

12 (Applause.)

MR. WROBLEWSKI: Thank you. Can I ask you one quick question before Steve starts? You turned off the graph, but you had one graph up there that was a -- it was earlier on, and it had light blue bars and the dark blue line, and it talked about capacity and utilization. MR. SLAUGHTER: Right.

MR. WROBLEWSKI: And it had capacity, I think, as the bars and the utilization was the line that was above, and between 1992 and 1997, the utilization was -there was a big gap between the utilization and the capacity, and I didn't understand that. I would have thought it would have maybe been the other way. MR. SLAUGHTER: You know, you're right.

UNIDENTIFIED SPEAKER: I don't understand the 1 2 question. 3 MR. WROBLEWSKI: If it's just a production error, that's fine, I just wanted to --4 5 MR. SLAUGHTER: I think it's a production error, 6 because I think the blue line should be up near the 7 top --MR. WROBLEWSKI: The bars should be up higher? 8 9 MR. SLAUGHTER: Should be up higher. 10 MR. WROBLEWSKI: I was thinking, I didn't know 11 if there was another explanation that -- okay. 12 UNIDENTIFIED SPEAKER: No, I think it's just the 13 way the axis on the left is, you know, goes from 14 to 14 17, where a different axis on the left was used by going from 14 to 17 and it went from 1 to 17, that's the 15 difference. That's all it is. 16 17 MR. WROBLEWSKI: Okay, thank you. 18 Steve Jacobs will talk about transportation 19 issues. 20 MR. JACOBS: Good afternoon. If we have any production errors in this presentation, you can blame 21 22 me, because I was the one that put it together, so I 23 will take full and complete responsibility. 24 The first thing I'd like to do is apologize, 25 apologize because the message you're going to hear from

me is going to be a repeat of what you heard in earlier presentations. There's a common theme to these presentations, and I ask that a repeated message gets remembered.

5 In this presentation, first I'm going to talk 6 about pipelines in general. I'm going to give a very 7 crude -- my very crude estimate of economic theory as 8 applied to pipelines. I'll discuss factors affecting 9 the pipeline supply of gasoline, and I will close with 10 several recommendations.

11 This is a map of the United States showing 12 product pipelines in general. There are approximately 13 80,000 miles of product pipelines in the United States 14 delivering 75 percent of refined products. When I say 15 refined products, I mean gasoline, diesel and jet fuel.

Pipelines deliver the product from refining centers to population centers. You can see on this map the largest refinery center is in the Gulf Coast, in Orpus Christi, through Houston, Baton Rouge and New Orleans, and therefore, many pipelines originate from this region.

In this map, Colonial Pipeline is shown in blue, which travels from Houston to New York City. Colonial transports product from these refineries to the Gulf Coast to the Southeast, Mid-Atlantic region up to the

Northeast. We also ship product from several refineries
 within the Northeast in the New York Harbor area. We
 operate from 13 states and indirectly serve the Midwest
 and New England by delivering products to other
 pipelines and barges.

6 Colonial delivers approximately 2.2 million 7 barrels per day of finished product or 90 million gallons daily to customers in these and in adjoining 8 markets. We ship product for approximately 80 9 customers, from 30 refineries, to more than 250 10 11 marketing terminals. Twenty percent of the product in 12 the United States that is shipped on pipelines ships on 13 Colonial.

As you can see from this slide, for long distance transport, pipelines are generally the lowest cost mode available. Pipeline costs are a very small part of the final cost of gasoline to the consumer.

This slide shows that it costs about 2 cents a gallon to move a gallon of gasoline a thousand miles by pipeline. This is the same as it costs for a local truck delivery from a terminal to a service station within approximately a 30-mile radius.

This is a simple graph of supply and demand that shows that demand increases as price drops, and supply increases as price goes up, conventional economics. The

degree to which supply and demand respond to price
changes is referred to as elasticity. From a pipeline
perspective, the factors that affect elasticity are
listed here. The availability of substitutes; if there
is interruption of supply to a market, the price will
react different depending if gasoline from adjacent
markets can be substituted as an alternative supply.

8 The second factor is the time required for 9 substitutes to enter the market. Can a pipeline deliver 10 it in one day or in one week? The price reaction in the 11 market will be very different if a city will be without 12 a significant portion of its gasoline supply for an 13 extended period of time.

The third factor is how important the product is in a typical consumer's budget. Although we all complain about high gasoline prices, most U.S. citizens continue to drive the same vehicles the same amount if gas is priced at \$1.50 than it was when it was only \$1 a gallon.

In this slide, I show the same supply/demand graphs but now add a new supply curve. In this case, it assumes supply is reduced due to an interruption in operation or product availability. As the supply is reduced, the supply curve shifts to the left. This is the new bright green line. If you assume no substitutes

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

110

1 are available in the immediate market area, the actual 2 supply curve will shift to the left, and the market will 3 be willing to pay a higher price to prevent running out 4 of gasoline.

5 It is only appropriate that I mention in my own 6 defense that as the price increases, pipelines do not 7 realize any different fee. The tariff is the same 8 whether the gasoline is priced at \$1 a gallon or \$2 a 9 gallon.

10 Since pipelines do not have a very noticeable 11 effect on demand, the balance of this presentation will 12 focus on what causes changes in supply. With the rest 13 of this presentation, I will get out of theory and talk 14 about pipeline reality.

This is one graph that summarizes my entire presentation. So, if you need to leave, wait until I'm done with this slide. This is what consumers saw in Chicago in the summer of 2000. This graph is the differential in gasoline price between Chicago and the Gulf Coast for the calendar years 1999 and 2000.

The black line shows that in the summer of 1999, Chicago prices were in the 3 to 5 cent range above the Gulf Coast, about the cost of pipeline transportation from Houston to Chicago, a steady-state condition. However, in 2000, prices spiked 40 cents a

gallon higher than normal. This was caused by several 1 2 factors. The industry was delivering a new reformulated 3 grade of gasoline in Chicago. Inventory levels were low, as suppliers were managing the transition from 4 5 winter gasoline and heating oil production to summer 6 gasoline. Pipelines were at or near capacity. Then, 7 one of the main pipelines supplying this region had a leak, and it was forced to lower its operating pressure 8 and consequently lower its supply to this market. 9

10 Now, where I live in Atlanta, we have been lucky 11 not to have had a similar experience. This is because 12 of several factors. The Southeast region receives 13 gasoline, as I mentioned, from more than 30 refineries. 14 The region has more than 80 suppliers delivering through more than 250 terminals. The region is not only served 15 16 by Colonial Pipeline but also Plantation Pipeline. The combination of these two systems include five main lines 17 capable of delivering more than 3 million barrels a day 18 19 of refined product.

This does not mean we are completely insulated from this kind of price volatility, however. In fact, Atlanta has the type of gasoline that is unique to anywhere in the United States, and not many refineries can make it without significant change. Therefore, the cost of substitution is expensive. Maybe we have just

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

112

1 been lucky in Atlanta.

2 This slide lists several factors that affect 3 pipeline supply, and I will walk through them point by 4 point in the next few slides.

5 First, safety is number one with every pipeline 6 operator in the United States. The public and 7 regulators are requiring increased vigilance from 8 pipeline operators. Leak-free and error-free is the 9 objective of every pipeline operator.

10 However, operations can be interrupted for a 11 variety of reasons. The instance that makes the front 12 page news is when leaks occur. The factor causing the 13 most leaks in pipelines in the United States is from 14 third-party damage, from others digging near a pipeline and causing an accidental rupture. As supply is 15 16 reduced, the marketplace reacts quickly with increasing price. Speculation grows about additional shortages and 17 prolonged outages. The greater the outage or loss of 18 19 supply, the greater the price response will be. The 20 worse the fact or the worse the rumor, the higher the 21 price will go.

22 Pipelines react quickly to return to operation 23 after meeting all of the safety requirements. DOT, 24 Department of Transportation, recently passed an 25 integrity management plan for all pipelines to further

reduce the risk of leaks. It is in the interests of all
 pipeline operators to prevent leaks, because the direct
 and indirect costs from a leak can be substantial.

Another factor affecting the pipeline's ability 4 5 to supply all the product to the market is the number of 6 different products required. The more different types 7 of unique fuel that are required in a region, the less substitutes can be available to help fill the supply 8 shortfall. Also, a pipeline loses effective capacity 9 10 the more grades it must handle. If you spend a lot of 11 time switching between grades rather than run a 12 steady-state, common operation with one type of 13 gasoline, you lose capacity.

14 The next page shows the explosive growth in number of products that Colonial Pipeline ships. These 15 16 are actual numbers of grades that Colonial Pipeline has shipped over the last 30 years. Life was good back in 17 the seventies. There were six different types of 18 19 gasoline, two types of jet fuel and kerosene and three 20 types of diesel. This existed for several decades prior 21 to this, and this is what most product pipelines were 22 designed to handle.

The eighties brought the phase-in of unleaded gasoline. In the 1990s, the industry began having more different grades of gasoline to meet industry

regulations. The different types of gasoline generally
 had a different volatility as measured by read vapor
 pressure. These specifications varied by market area
 and by season. Reformulated gasolines were introduced
 in several metropolitan areas that did not meet EPA's
 clean air requirements.

Also in this time period, several regions
introduced special blends of gasoline as boutique fuels,
as we've heard earlier today. For example, Atlanta,
Georgia and Birmingham gasoline each require gasoline
that is different than anywhere else in the country and
different from each other.

13 The future looks even worse as we continue to 14 see rapid growth in the number of specialty products, unless we get some form of regional or national 15 16 standardization. More changes are on the horizon as we've seen localized banning of MTBE in certain cities 17 and states and not others. Cities and states adopt more 18 19 boutique fuels. Atlanta qas in 2003 will be different 20 than in 2002, and additional counties in Georgia will be required to burn this new, special gasoline. 21

Other states expanding areas for boutique fuels is North Carolina will have a unique grade of gasoline in 2004. Ultra low sulfur diesel is scheduled to be phased in between 2006 and 2010, and EPA is considering

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

115

1 adding a new grade of off-road diesel.

The next factor is we have lower days supply of inventory at pipelines and terminals as companies try to improve their financial return on capital since extra inventory generates zero return. Also, demand has been increasing without building additional tanks because of the low economic return of investment in tankage.

Gasoline that is shipped on a pipeline has 8 different quality characteristics that vary throughout 9 10 the year. This is done primarily to lower the vapor 11 emissions in the summer's warm weather, as we heard 12 earlier. Therefore, gasoline sold on May 1st is 13 required to be different than the gasoline requirements sold the prior day on April 30th. This causes companies 14 to completely drain their inventory of one product and 15 16 replace it with a more expensive, appropriate grade for the summer season. Therefore, whatever inventory safety 17 stock may have existed may no longer be present. 18

19 Supply interruptions during this transition 20 period, as we saw in the Chicago price graph earlier, 21 can have a significant effect when there's insufficient 22 substitutes in the marketplace.

The last factor I'll address on supply is that many pipelines or segments of pipelines in the United States are reaching capacity. It is increasingly

difficult to build a new pipeline, and therefore many systems are reaching their limit. This causes supply to be tight in certain markets as demand continues to increase. Also, less spare capacity is available for make-up capacity or make-up supply in the event of interruption.

7 We are fortunate in the Southeast and 8 Mid-Atlantic region that our main lines are not full, 9 although we are spending significant money as we expand 10 our lateral lines to adjacent markets.

I mentioned it's difficult to build a new pipeline. There are many issues that need to be dealt with in this assessment. I will list them here and then elaborate on the next few slides.

15 The first is will it be allowed to be built? 16 This speaks to the myriad of steps that must be 17 successfully negotiated in permitting a new 18 cross-country pipeline.

19 The next is the amount of risk the business must 20 be willing to absorb in trying to build a new line. 21 This includes the time, effort and financial risks that 22 may not have a high success ratio. The costs continue 23 to climb, and many pipelines are not able to recover 24 them with the FERC index method of tariff setting. 25 This page lists a portion of the many agencies

required to be involved for building a new cross-country pipeline. This is a 225-mile line we were building across Alabama to supply additional product into Nashville, Tennessee. Although the process is going as well as can be expected, we will have spent four years and more than \$50 million before we turn over the first shovel of dirt and begin construction.

8 This is a good example of what is not adequately 9 compensated for in the current tariffs. The methodology 10 used today does not compensate for the risk inherent in 11 building a new line. This is one of the reasons you 12 have not seen significant money invested in new pipeline 13 construction. The struggles of Long Horn Pipeline serve 14 only to discourage other possible investors.

15 I mentioned tariffs earlier. The tariffs we 16 charge are indexed per methodology developed by the 17 Federal Energy Regulatory Commission. This method 18 allows for a rate increase or decrease equal to the 19 producer price index for finished goods minus 1 percent. 20 Our actual tariff is shown in the blue line.

As you can see over the last eight years, since this index methodology has been in effect, the tariff charged by Colonial to ship a barrel of gasoline from Houston to Atlanta has increased in some years and gone down in others. Overall, the rate increase from 73.6

1 cents to 76.2 cents or 2.6 cents per barrel, six/one2 hundredths of a penny per gallon total increase in eight
3 years, six/one-hundredths of a penny. I want to repeat
4 that, that's a little number. This increase has
5 averaged less than a half a percent per year.

6 Also shown on this plot is the change in 7 Consumer Price Index for urban markets. This shows what 8 the underlying costs have done, and their increases have 9 averaged almost five times this amount or 2.6 percent 10 per year. Our actual tariff is 13 percent less than if 11 indexed with the CPI.

12 To close, let me summarize and suggest some 13 actions to improve the future prospects for safe, 14 reliable, adequate and cost-effective fuel distribution. More use of tariffs that are based on market dynamics 15 16 and not on out-of-date index methodology. Establish multi-use right of way corridors for utilities and 17 pipelines. A streamlined permitting process that is 18 19 coordinated at the Federal and State level. 20 Standardization of fuel specifications at the Federal 21 and regional levels to reduce the number of product 22 types and maximize the capacity of our fuel distribution 23 system. We believe the pipeline industry needs to 24 exceed the requirements of the public for safe 25 operation. We operate because they allow us to.

With these or similar changes, we as an industry 1 2 will be able to grow our vast network of pipelines to 3 support the growing needs of the American consumer. Thank you. 4 5 (Applause.) 6 MR. JACOBS: This is -- you're not supposed to 7 see this one. MR. WROBLEWSKI: Thank you, Steve. 8 9 Mary, do you want to go and give a guick overview of Kinder Morgan, and then we will take a 10 11 ten-minute break, and then we will start into the 12 discussion. 13 MS. MORGAN: Sure. 14 Good afternoon. I'm Mary Morgan with Kinder Morgan. I want to thank the Commission for the 15 16 opportunity to be here and everyone in the audience. I'm going to hopefully very briefly just show you some 17 of the maps to give you an idea of some of the assets 18 19 that Kinder Morgan operates. Obviously many of the 20 things said in the previous presentations apply to us 21 also. There's just a few minor differences that I'll 22 point out. 23 Just a quick overview of our system. We have 24 over 10,000 miles of pipelines, and we transport 25 slightly over 2 million barrels of product a day.

Again, refined products, I think everyone's mentioned that before, break down between gasoline, diesel and jet, and that will give you some idea of how our breakdown is. We also operate some NGL pipelines and move petrochemical feedstocks.

6 Some of this is kind of marketing information 7 that you may not be interested in, but a lot of our 8 pipelines serve some of the high growth markets 9 throughout the United States.

10 We also operate terminals. Some terminals are 11 associated directly with the pipelines, others are 12 terminals that serve marine areas, and we also have 13 trans-mix processing. Trans-mix is a phenomenon of 14 pipeline transportation where the interface between gasoline and distillate has to be separated out of the 15 16 pipeline and then again it has to be processed or blended in order to return it to a usable product. 17

Just a quick overview, I have more detailed maps to come of some of the areas in the country where, again, this is Kinder Morgan's product pipelines. Kinder Morgan also operates networks of natural gas pipelines, but that's not included in my presentation today.

You can see we have operations out on the WestCoast, as Steve mentioned, from the Gulf Coast to

Washington, D.C. area with Plantation Pipeline. We have Central Florida Pipeline that goes from Tampa to Orlando and then some NGL lines up in the midcontinent and then also a products line in the midcontinent that you'll see as I go forward.

6 First of all, the Pacific operations of Kinder 7 Morgan comprise the former Santa Fe Pacific Pipelines as 8 well as the Calmed Pipelines. In this area, you can see 9 we have a pipeline in Oregon where we receive product 10 either from the Cochin Pipeline or from terminals in the 11 Portland area that can also receive product by water.

We serve the main refining centers in Northern California around the San Francisco Bay area and then again in Southern California around the Los Angeles area, and we also move product from El Paso, Texas area, where there are refineries in the general area as well as product being brought in by other pipelines.

Again, on the West Coast, we transport a little over a million barrels per day. Again, you can see kind of the general breakdown, how it's averaged between the different types of product grades. Some of this other stuff, again, about the shippers and everything.

One thing that I do want to mention about the Pacific that's a little bit different from some of the other pipelines, we've had the opportunity to experience

many of these changes that Steve and some of the other 1 2 presenters talked about out in California. They seem to 3 be over time very proactive about trying things, perhaps sometimes a little bit ahead of the rest of the country 4 5 as far as fuels changes for both gasoline and diesel, 6 things you've heard about, other things that we've 7 experienced out in California that have been quite a 8 challenge.

Last year's electrical energy crisis had a very 9 10 significant potential impact on the distribution system 11 and being able to move product through the region. 12 Again, out on the West Coast, the availability of 13 pipeline supply to states such as Nevada and Arizona, 14 our pipeline is the only refined products pipeline moving these products into the area, whereas as Steve 15 16 mentioned, in places like the Southeast and up through the midcontinent, usually there's more than one pipeline 17 supplying these areas. So, the potential for 18 19 disruptions is certainly a factor there and of great 20 concern to the states that rely strictly on pipeline 21 transportation. They don't have any refineries in the 22 state.

Another thing that I wanted to mention that we are starting to experience is the MTBE phase-out and perhaps the introduction of more ethanol blending in the

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

123

state. Again, regulatory uncertainty certainly for us and the pipeline and terminal business is a continuing challenge. There was a mandate in place by the state that, you know, was supposed to have happened at the end of December of this year. A lot of uncertainty about that happening.

7 Then, of course, the governor has delayed the 8 mandatory date on that, but at the same time, we had the 9 energy bill going through Congress that could create 10 even more uncertainty due to the renewable fuels 11 standard.

12 Again, here particularly on the West Coast, 13 Kinder Morgan is a common carrier pipeline. We don't buy and sell product. We don't market it. We simply 14 make money on the transportation, where none of these 15 pipelines that are not owned by refiner or marketer. 16 So, we're just there to provide transportation. 17 So, again, the uncertainty of what's going to happen, we're 18 19 here to serve the customers, but again, we don't know 20 what's going to happen or what their plans are going to 21 be as we go forward.

22 So, the potential change-over to ethanol has 23 received an awful lot of press out in California and a 24 lot of confusing press about the role that the 25 distribution system plays in going forward.

Some other items that I think are not specific to the West Coast, I think Steve mentioned them, that the challenges of permitting and building any new pipelines or tankage, and I know they're very difficult throughout the country.

6 In California, they are very difficult as well. 7 We did build 13 miles of new pipeline that we finished in 1999, again, that took about five years from 8 conception to execution, and the cost for that 13 miles 9 was approximately \$33 million to build that pipeline. 10 11 So, it's become very challenging, something that we work 12 at all the time. Certainly we are not willing to give 13 up our efforts to expand where our customers see a need.

14 Also, you have probably heard of different studies going in California regarding strategic oil 15 16 reserve, regarding bringing other pipelines into the I can answer some questions about those if we get 17 area. to those, but also, when we talk about imports coming 18 19 into the region, one of the big challenges we face is 20 working with the port authorities, particularly in the 21 Port of Los Angeles and the Port of Long Beach. They 22 are under extreme political pressure also, and so the 23 whole issue of infrastructure for things coming in from 24 the port is another very difficult issue out on the West 25 Coast.

Then on the East Coast, Plantation Pipeline, as 1 2 Steve mentioned, originates in the Louisiana/ 3 Mississippi area, moving on up to Washington, D.C., serving many of the same markets as Colonial and 4 5 delivering to many terminals along the pipeline. 6 Plantation does not own or operate any terminals. We 7 deliver to third-party terminals. Again, you can see the breakdown of the different types of products moved. 8

In this particular pipeline, Kinder Morgan is 9 not 100 percent owner. We own 51 percent of Plantation, 10 11 and ExxonMobil owns the other 49 percent. Originally 12 this pipeline was built and owned by Chevron, Shell and 13 Exxon, and as different companies have merged and have 14 different business plans, they've divested. Obviously we bought Shell and Chevron's interest in Plantation 15 16 Pipeline, and today Kinder Morgan is the operator of Plantation Pipeline. The employees that operate this 17 pipeline are Kinder Morgan employees. 18

Also we have our pipeline from Tampa to Orlando down in Central Florida. There the product comes in over the water, through our terminal in Tampa, as well as some other majors have terminals in the area, and then the product is pumped well over a hundred miles to Orlando, where we have a truck-loading terminal. On the North system, again, we have -- it's

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

126

1

mostly NGL pipelines, moving NGLs and refinery

2 blendstocks. We also have there a JV with Conoco in the 3 Heartland Pipeline that does transport refined products. We're 50 percent owner of Heartland. 4

5 Then the Cochin Pipeline, again, we have 45 6 percent ownership in Cochin, and it's an NGL pipeline 7 transporting from Canada into -- you can see where it goes down through the Midwest. 8

9 So, again, I just wanted to give you a real quick overview of where some of our assets are in case 10 11 that generates questions during the discussion period, 12 if you have any questions about what's going on in 13 California and so on.

14 Thank you.

15 (Applause.)

16 MR. WROBLEWSKI: Thank you, Mary.

Why don't we take a ten-minute break, start at 17

2:45, and then we'll be able to start with the 18

19 discussion. Thanks.

20 (A brief recess was taken.)

21 MR. WROBLEWSKI: Why don't we go ahead and get 22 started. Well, let's wait for one more minute for our two additional panelists to come back. 23

24 Actually, why don't we just go ahead and get 25 started. I'm first going to ask for, before we get into

kind of the bulk of the discussion that we're going to 1 2 have, and I'd like that discussion really to focus on 3 the five general areas that we heard this afternoon in terms of refinery issues, the effect of differing fuel 4 5 specifications, inventories of refined products, the 6 impact of recent mergers and acquisitions, and the 7 transportation issues, but before we get into those kind of five main topic discussion areas, I'd like to see if 8 9 Ed Murphy or if Dr. Griffin, who presented this morning, 10 had any comments on -- since we hadn't allowed you to 11 speak yet -- if you all had any comments that you wanted 12 to make based on the presentations that we saw in the 13 last hour or so.

14 MR. MURPHY: Okay.

MR. WROBLEWSKI: You can stay seated and be a little more informal if you like, or you can stand up and be more formal. I'll leave it to you.

MR. MURPHY: A couple of points, I just made some notes as I went through, and Mr. Larson from EPA talked about the costs, costs of wintertime RFG and the costs of summertime time RFG, and we read a lot about those costs in recent years, particularly in the Midwest when the costs got very high.

I'd like to make two points, frankly points we
made at the time to Carol Browner, who didn't understand

1 them or if she did understand them she didn't articulate
2 them.

First of all, those costs are average costs. 3 That is the average cost of producing RFG or the average 4 5 cost of producing summertime RFG. As we know from basic 6 economics, and Steve gave us a nice lesson on that here, 7 average costs are not what determines pricing. It is competitive costs that determine price. So, if you look 8 9 at average costs and expect that prices will respond to 10 average costs, you are going to be surprised, and you 11 are going to find out that, in fact, it's incremental, 12 the most expensive provider of the gasoline in this 13 case, that, in fact, determines the price. So, the average cost is a very, very misleading indicator of the 14 impact on consumers, point number one. 15

16 The second point, in a shortage environment such 17 as we have where you can't get supply, such as we had in 18 the situation in the Midwest, costs, manufacturing costs 19 are largely irrelevant. It really doesn't matter how 20 much it costs you to produce the RFG on the Gulf Coast, 21 for instance, if it's needed in Chicago and you can't 22 get it to Chicago. Costs then are irrelevant.

And so in a shortage environment, it is access to supply that determines the price, not what the manufacturing costs are. So, those are two issues there

on costs which when you start to look at a shortage
 situation become extremely important to keep in mind.

The two comments I quess on Tom Hogarty's 3 presentation, the first is one of the factors that Tom 4 5 didn't mention is the fact that there's been 6 discrimination for largely political reasons now for 7 quite some time about the depreciation period allowed for refinery investment, going back I guess about 10 or 8 15 years ago. That is one of the things that's in the 9 10 tax bill, to reduce the depreciation period to seven 11 years, which was closer to what it is for similar 12 equipment in other industries, and that would help to 13 increase the rate of return.

14 The second issue, and I don't differ with Tom that low profitability has contributed to an 15 16 underinvestment of refinery capacity, but it's not the only issue. I don't think that there's anybody in this 17 country who really believes that regardless of 18 19 profitability it is possible now to build a new grass 20 roots refinery, assuming the incentive was there to do that, but the environmental, the permitting 21 22 restrictions, the issues and everything else essentially 23 make that extremely difficult.

24 It's extremely difficult for the same reason to 25 add pipeline capacity, even when the incentive is there

to do it. One of the problems, of course, is again, 1 2 with the previous Administration, the assumption is that 3 refiners, in this case refiners, are going to make the investments regardless of whether or not there are 4 5 returns on those investments, and if you are facing a 6 situation, for instance, of whether or not you're going 7 to make major investments to produce low-sulfur diesel fuel and compete with refiners in Europe, in Central 8 9 America, in the Caribbean, who can produce a slower 10 volume, some of the diesel streams at a much, much lower 11 cost than you can domestically, you are going to think 12 long and hard about whether you are going to be able to 13 do that.

14 Some of those discussions, some of those 15 thoughts are going to result in an unwillingness to make 16 investments that you are not going to be able to recover -- the costs for which you are not going to be 17 able to recover because of the competition you are 18 19 facing from foreign refiners, who face much, much lower 20 So, that is, has been and I think continues to costs. be a major contributing factor in refinery capacity 21 22 expansion.

Bob, what do I say? The most bitter fights are
ones from closest friends, I guess. We have a
dramatically different impression of this energy

legislation. It starts with we are committed to trying to follow the EPA blue ribbon panel recommendations that essentially called for a phase-down of MTBE. Regardless of whether or not or how we feel about that, MTBE is being banned. It's banned right now, will be banned in 14 states.

7 If this energy legislation is not enacted, the 8 remaining states are also going to ban MTBE. So, to try 9 and suggest that a cost of this legislation is the cost 10 of banning MTBE is, in fact, I think somewhat 11 misleading.

12 The real issue is, is it more effective and more 13 cost-efficient for states acting on their own to ban MTBE at different time periods over the next four, five 14 or six years than it is to have a federal phase-down 15 16 with one phase-down throughout the country? And as Bob 17 suggested, MTBE bans at the state level are going to substantially exacerbate the boutique fuels problem, and 18 19 they will, in fact, make the Midwest price increases of 20 a couple years ago look relatively minor.

So, when we look at this bill, the real issue is does it achieve the objective of phasing down the use of MTBE at reasonable costs relative to the alternative, and we think yes, it does. In fact, we think it achieves that cost much more efficiently, much more

effectively. Consumers will benefit by a federal
 phase-down at a predictable level over a four-year
 period.

The ethanol mandate, the ethanol part of that, 4 5 EPA -- I'm sorry, EIA, Energy Information 6 Administration, estimates that the incremental cost to 7 that is something less than one-half to 1 cent a gallon. They describe that as the upper bound of the cost 8 estimate, because they aren't able to model the credit 9 10 and trading provisions within the bill. So, we're 11 talking about something that is a very, very small, 12 minor cost, I think likely to be overwhelmed by the efficiency gains of a federal phase-down as opposed to 13 14 individual state bans of MTBE.

Bob's right, the credit and trading system 15 16 doesn't produce supply, but again, that is confusing the issue. Credit and trading system applies to the use of 17 It helps in compensating for the loss of MTBE, 18 ethanol. 19 but we are going to be losing MTBE in any case, and so 20 again, the issue is how do we most effectively address the loss of those volumes, not whether or not they're 21 22 going to be lost.

So, we are -- and I have been extremely
supportive, have obviously worked with other
stakeholders in trying to put together this agreement

1 that's now part of legislation, so that we think that 2 consumers are going to be substantially better off, 3 competition is likely to be enhanced, the boutique fuels 4 problem is likely to be reduced if this legislation 5 passes.

6 And I quess on Steve's -- one point on Steve's 7 comments, which has to do with the inventories issue, I think you can probably say that whatever the shortage 8 occurs, whenever it occurs, if inventories were higher, 9 the shortage would be less. I think that's sort of 10 11 definitionally the case. I question whether or not that 12 really is the issue, because the benefit to consumers of the lower inventories, which we've seen over the last 13 14 ten years or so, is, in fact, lower costs and lower 15 prices.

One of the possible downsides of that is that 16 the prices tend to be more volatile. Consumers, 17 individually with some difficulty, but certainly 18 19 consumer customers and the industry have a way of 20 accommodating that, which the market has not rewarded. 21 You could accommodate that by holding higher 22 inventories, and you can, for instance, as with heating 23 oil on the East Coast, pull those higher inventories and 24 give consumers a fixed price for their product. By and 25 large, they do not want that. By and large, consumers

would prefer to have average prices substantially lower, given the risk that occasionally there is going to be some increased price volatility, but overall, there's going to be substantial consumer savings.

5 So, for us to say that consumers are wrong in 6 this case and that we should mandate higher costs, 7 higher prices on a regular and ongoing basis in order to 8 prevent the occasional price run-up and shortage I think 9 is incorrect, and I think, in fact, it will lead to 10 substantially higher prices.

11 The additional problem coming out of the Levin 12 hearing last week, if inventories were higher if you had 13 to have two, three, five days, whatever the minimum inventory level is, who's going to say when that minimum 14 inventory level needs to be changed? Who's going to 15 16 make the judgment that, well, today is the day we release those inventories, because I don't know how long 17 this problem is going to last, and I don't know if this 18 19 shortage is going to exist for another two weeks, and if 20 I'm the bureaucrat that's required to do it, whether I'm 21 going to have to go up and answer to an investigator, 22 why did I release these inventories as soon as I did and 23 cause a greater shortage a week or two weeks from now? 24 So, I'm very, very skeptical of the value, if 25 you will, of the market value, of the consumer value to

any sort of mandated increase in inventory levels.
 Thank you.

3 MR. WROBLEWSKI: Thank you.

4 Dr. Griffin?

5 MR. GRIFFIN: I just have a couple of --

6 MR. WROBLEWSKI: Could you move the microphone 7 over a little closer so we can get it on the record? 8 Thank you.

9 MR. GRIFFIN: I've just got a couple of 10 questions for Bob Larson. You know, I always, when I 11 teach economics to my students back in the Bush School 12 of Government and they want to know how policies get 13 made and so forth, and I was interested in, you know, 14 your estimates of the additional cost of reformulated 15 gasolines.

Have there been any studies done to show that the benefits might exceed -- that the benefits actually exceed these costs? I know you're not required by law to do cost-benefit analysis, but does anybody in the Agency ever sit down to ask the question of what all these boutique fuels are really buying us?

22 MR. LARSON: I don't think we've ever looked at 23 the cost-benefit of boutique fuels. I'm not aware of 24 that analysis at least. I will point out, though, that 25 in general we have looked at cost-benefit for our

regulations, which include fuel regulations, and some of 1 2 our recent rules where we have been phasing down sulfur 3 and what are the costs of the rule, as well as the technology that goes on vehicles to meet Tier II 4 5 standards, for example, and those combined costs versus 6 the health benefits that are derived from them, it's a 7 very favorable ratio with the health benefits far exceeding the costs. 8

9 MR. GRIFFIN: Sulfur on gasoline and diesel or 10 are you talking about sulfur on heavy fuel oil?

11 MR. LARSON: Well, we just recently adopted 12 regulations that are called Tier II regulations for 13 passenger car size vehicles that run on gasoline, and as 14 part of that, there's technology costs that the auto industry's incurring, and part of that also includes 15 16 fuel costs that go through the refining industry as they control sulfur in the gasoline, and we looked at that. 17 18 I don't have the numbers here, but the health benefits 19 far exceeded the costs of that reduction.

20 MR. GRIFFIN: Do you think that sort of to 21 prevent all these states from running off and making 22 their own standards on gasoline, what about legislation 23 that would require, if a state were to deviate from a 24 national standard that the EPA proposes, they would have 25 to somehow justify it by some cost-benefit analysis?

1 MR. LARSON: Well, that's not a requirement 2 right now --

3 MR. GRIFFIN: Well, I know --MR. LARSON: -- under the Clean Air Act. 4 5 MR. GRIFFIN: -- I know that, but I'm trying to 6 think of some innovative ideas, because this strikes me 7 as a real problem where we have got the states marching off in different directions. 8 I think when the states look at 9 MR. LARSON: 10 what they need to do to meet ambient air quality 11 standards, they look at a range of options and evaluate 12 the costs to their constituents as part of that. Now, 13 some of the costs may not be as easily quantified as 14 fuel costs, when they are looking at boutique fuel, but 15 they try to come up with a package that's most 16 acceptable I think for their community. MR. WROBLEWSKI: Can I redirect that question, 17

Dr. Griffin, that you had in terms of if a state adopts a differing fuel requirement from whatever the standard is? I'll redirect that question to Bob Slaughter.

21 What would you say about that in terms of the 22 cost-benefit analysis?

23 MR. SLAUGHTER: Well, one of the problems is 24 that the states are running away from a federally 25 proscribed program that is not cost-effective. If the

1 RFG program basically did not contain a politically 2 oriented prescription or recipe, which includes an 3 oxygenation component, which has generally been found to 4 be both ineffective currently from an environmental 5 point of view and very expensive, most of them wouldn't 6 be adopting that.

So, you know, they are running away from the effect of federal policy, voting with their feet, as you would have it, for a more cost-efficient recipe, and I think it would be a shame to penalize them and make them come back to the federal program which in and of itself is not cost-effective.

13 Now, you know, one of the things we'll look for is if and when the energy bill passes, whether or not 14 with the elimination of the 2 percent requirement would 15 16 have an impact on this in RFG if that goes forward. One of our concerns is that -- and I should just mention 17 this, that also coming down the pike is the new 18 19 eight-hour standard on ozone, which is going to 20 basically throw a number of counties into nonattainment, 21 a large number, with this new standard. They are all 22 going to be looking at additional gasoline specs.

23 So, you know, that simplification may be 24 overwhelmed -- you know, getting rid of the 2 percent 25 may be overwhelmed as these people look for new formulas

again, and politically, of course, it's very difficult to tell, because of federalism, to tell states and localities that they can't do something that they want to do if they seem to have a good reason for doing it.

5 MR. WROBLEWSKI: Can you explain just for the 6 record, when you say that the 2 percent oxygenate is not 7 cost-effective, what do you mean by that?

8 MR. SLAUGHTER: Well, there was a huge debate as 9 to whether or not oxygenation was required when the RFG 10 program -- should be required when the RFG program was 11 set up.

MR. WROBLEWSKI: Right, 12 years ago.

12

13 MR. SLAUGHTER: Twelve years ago, in approximately 1990, the RFG program was essentially set 14 15 up because of a Senate amendment by Senator Daschle that 16 establishes an RFG program in the worst ozone areas, and 17 it was proscribed that although there would be a recipe, some elements of it would be rateable on a performance 18 19 basis but not the oxygenation requirement. It was 20 contended at the time that there was no reason to require this oxygenation component throughout the year 21 22 in RFG.

A political decision was made to do it. I would say that I believe it was done because it was hoped that ethanol would be the major beneficiary of it. It didn't

1 turn out that way.

2	But there have been studies done since that
3	time. For instance, the CO problem that it was designed
4	to address was being taken care of because of advances
5	in automotive technology, and studies have been done,
6	for instance, by the National Research Council about I
7	think three years ago at this point that basically said
8	this oxygenation requirement is ineffective. Currently
9	there is no net benefit due to this 2 percent
10	requirement, yet it is extremely expensive, and with the
11	concerns about MTBE contamination in the water, there's
12	an additional incentive for people who otherwise might
13	adopt this RFG program federally not to, so they have
14	gone to boutique fuels.
15	Was that what you were looking for?
16	MR. WROBLEWSKI: Yes, thank you.
17	Again, I was going to start with refining
18	issues, but since we went into differing fuel
19	specifications, I'll stay there, then go back to
20	refining issues. I am going to direct this question to
21	Bob Larson or anyone else who wants to jump on in.
22	Is there anything right now that EPA could do in
23	terms of I mean, you know, we're talking about
24	eliminating the 2 percent ban, and that's actually
25	that's not in our hands right now, but is there anything

1 that EPA could do right now to ensure that the boutique 2 fuel problem doesn't become any worse than it is right 3 now?

You hear the refiners saying that a number of 4 5 the industry participants have gone hand in hand with 6 the states to ask for different -- you know, a new fuel 7 standard. Is there anything that EPA can do now to say, hey, we're not going to let the situation get any worse. 8 9 We realize it's not ideal right now, but the system is 10 somewhat optimized, which we've heard from many 11 participants. Is there anything EPA can do now to stop 12 making it get any worse?

A simple yes or no, and then we can move on.
MR. LARSON: And the question was it's already
optimized, so --

MR. WROBLEWSKI: Well, that's what we've heard from many folks, is that they've optimized, from the transportation folks and from the refining folks, saying that it's optimized, so in my mind, it sounds like there isn't as big of a problem. So, I was just wondering, is there anything that EPA could do to make sure that it doesn't get any worse?

MR. LARSON: Well, I think Bob Slaughter
mentioned, perhaps it was mentioned earlier as well,
that one of the things that we're seeing coming along is

not just the phase-out of MTBE, which is causing some 1 2 boutique issues, but also looking forward to the 3 eight-hour NOX standards, and we're anticipating that there will be additional areas that will be required to 4 do emission reductions, and one of the tools available 5 6 for them, and I submit because it is a very effective 7 and perhaps not too costly -- I don't know if that means it's cost-effective -- but not too costly alternative is 8 9 to look for fuel improvements.

I think we will find that a lot of the counties that are being added under the NOX will be adjacent counties to areas that already have some boutique fuel requirement, so maybe the problem won't be quite so bad. It won't be creating new spots, but it will -- there is certainly potential for that.

16 MR. WROBLEWSKI: There will be new markets.

MR. LARSON: It will certainly be expanding the market for those boutique fuels. Now, I'm not sure whether a larger market for the existing boutique fuels is a good or a bad thing. Larger market areas I guess have some advantage.

22 MR. WROBLEWSKI: Right, sure.

MR. LARSON: I'm not sure how that impacts thesupply for those markets.

25 MR. WROBLEWSKI: Okay, thank you.

Mary, did you want to add something?

1

22

2 MS. MORGAN: Just one comment about whether or 3 not if you were just adding on some additional counties around the surrounding area, there can be an impact on 4 5 the distribution system, because again, while we're --6 pipes, you know, can move things, but you're limited in 7 most cases by tankage and how many tanks you have, and suddenly if there's a change in -- you know, if you're 8 storing five or six different types of qasoline and 9 10 suddenly those have to switch around, the proportions 11 can make -- if you have to make changes, you know, 12 particularly on the terminal side of the business, it 13 can be very costly.

14 So, I mean, that is a constant problem, and that's one of the big problems with the uncertainty 15 16 about going to ethanol now, is what proportion of your 17 gasoline is going to be what type, and when it changes all the time, it's very hard to make those changes quick 18 19 enough, because you can't do the construction in the 20 time frame that people want to make their economic 21 decisions.

MR. WROBLEWSKI: Okay, thank you.

Did anyone want to add anything else? And then I'll change gears and go back and start with refining issues.

1 MR. SLAUGHTER: Could I just mention one other 2 thing?

3 MR. WROBLEWSKI: Sure.

MR. SLAUGHTER: It's just one of our concerns 4 5 about the ethanol mandate, on top of the new eight-hour 6 ozone standards, is that we're going to see, we're 7 afraid, less reliance on the current RVP waiver. You know, we have problems using ethanol in the summer 8 because of its increased volatility, which is -- and you 9 have ozone precursors in nonattainment areas. One of 10 11 the ways that that has been addressed is to require a 12 lower RVP blendstock that is mixed with the ethanol so 13 you come out with the same number.

14 We're afraid that with the increased use of 15 ethanol pursuant to the mandate that we'll see more 16 areas that will be requiring this special blend, which we call RBOB, that the ethanol has to be blended into 17 and that there will be additional problems in the 18 19 infrastructure as well as with production of this 20 differing blendstock. So, we have concerns there, and I 21 think Ed may have a more sanguine outlook on that, 2.2 but --

23 MR. MURPHY: I don't know that we have a more 24 sanguine outlook, but the analysis that's been done is 25 to see that the major driver in ethanol use is to

1 replace the volume in octane use from MTBE, that the 2 ethanol mandate has limited, if any, impact, and as you 3 know, when you look at the conventional gasoline market 4 in the Midwest, even under an eight-hour standard, there 5 is more than adequate absorptive capacity, even of the 6 total 5 million gallons in the Midwest.

7 So, the volumes that move out of the Midwest are going to move out of the Midwest because of the MTBE 8 9 phase-down, not because of the ethanol mandate, and it's 10 important, again, to distinguish what's driving that. 11 Yes, DOE thinks there's going to be a large -- more than 12 actually we believe is going to be the case -- but they 13 believe there is going to be a large volume of ethanol excused in certain areas, but again, that is because of 14 the environment of both MSAT, for instance, as well as 15 for octane. 16

Okay, thank you. 17 MR. WROBLEWSKI: Michael? MR. JACOBS: Yes, I want to comment on the 18 19 boutique fuel issue. One of the slides I showed showed 20 the bar charts of the number of grades of product that Colonial has, and the headline said, "The future looks 21 22 even worse," therefore the impression may be that I think boutique fuel is bad, and that's not true. 23

To James' question, I think the states have done cost-benefit analysis of how to meet the requirements,

1 and the issue, as Bob Slaughter mentioned, the question 2 is do we go with the federal reformulated or do we adopt 3 a different blend that helps our air quality and may not 4 have some of the other factors associated with it, and I 5 think they've done that.

6 The issue for us, and I want to echo Mary's 7 comment, the issue is the future change and what happens when the next one does it and what happens when the next 8 one does it, and the point is that they're not all 9 10 adopting a common grade of boutique fuel. They're all 11 creating their own grade of boutique fuel. So, I think 12 boutique fuels in and of themselves are not a bad thing. 13 They may be a very effective solution, cost and benefit 14 solution, for the states that need the air quality improvement, but we need to have more involvement in 15 some of those decisions, I think from a fuel 16 distribution standpoint, and how we get there. 17

MR. WROBLEWSKI: Okay, thank you.

18

Let me change gears and talk about some of the refining issues. You know, this morning we heard much about the relationship between world crude oil prices and regional wholesale gas prices and their movement and the relationship between those two commodities.

What I'd like to explore now is the mechanicsbehind those relationships and the degree to which the

1 crude refinery relationships differ depending upon what 2 kind of refinery you have. Whether it's a refinery 3 that's an independent and it's not integrated upstream 4 with exploration and production or if it's just an 5 independent by itself or if it's vertically integrated 6 downstream with retailers.

7 So, my first question goes to the types of contracts that independent refiners use to obtain crude 8 and the incentives that independents have to obtain 9 10 crude as crude prices rise above the historic average on 11 a number of the graphs this morning. So, I wanted to 12 explore that interface between the independents versus 13 the integrated for the firms upstream and how they 14 acquire crude and is one firm or is one type of firm at an advantage or a disadvantage. 15

16 If anyone would like to start off with that one?17 Dr. Griffin, you just moved to your microphone.

MR. GRIFFIN: Well, I'll start out.

18

19 If you took your question 30 years ago where 20 most of the crude was moving through integrated 21 channels, there was a very specific advantage to being 22 vertically integrated. You could optimize your refinery 23 in terms of running certain types of crude which you had 24 access to, the sulfur characteristics of the crude, the 25 gravity and so forth.

I think, though, because of the evolution of the 1 2 world oil market, there is today a very active oil 3 market for different qualities of crudes. In fact, you can even look at the major oil companies, and what 4 5 you'll find is that often times the crude they produce 6 is not the crude they run in their refinery. They can 7 get a better deal by selling it in the open market, and they can find some other crude that will fit their 8 product slate and their refinery configuration. 9

10 So, I really think today that vertical 11 integration is not particularly an important factor 12 between crude production and refining, and then if you 13 look and see what's happening in marketing, you find 14 that that linkage, too, has been eroded over time. So, 15 that's my take on the subject.

MR. WROBLEWSKI: Dr. Hogarty?

16

DR. HOGARTY: Just following up, I agree with 17 the general direction of what Jim said. I think there 18 19 can be some local or temporary differences among 20 refineries due to the perturbations on the crude oil market. I can conceive of situations where certain 21 22 refineries are configured to run, let's say, type A 23 crude oil while others are configured to run type B, and 24 there can be disturbances in the crude oil market which 25 would cause type A to rise more than type B.

The crude oils tend to be separated in terms of 1 2 qualities and prices, and over time, on average, I think 3 the prices comport with the quality differentials, but I think that in the short period of time, there can be 4 5 disturbances to these differentials, and I think that 6 temporarily and perhaps locally or regionally, a given 7 refinery can have a lower cost of crude oil than This averages out and perhaps should not be 8 another. 9 over-emphasized, but there can be these temporary and 10 local price disturbances.

11 Now, the same applies to the differential as 12 between product prices and crude oil prices. You can 13 verify for yourself from the New York Mercantile 14 Exchange prices that the crack spread, the three-to-one crack spread or the simple crack spread for gasoline, 15 16 that is the spread between the gasoline price and the crude oil price that's referenced on that mercantile 17 exchange, that spread will widen or shrink over time, 18 19 and I think those sort of perturbations can be important 20 in some regional or localized or some temporary price 21 spikes, and I think they at times can make some price 22 spikes worse and have a tendency at other times to 23 alleviate the acute nature of some others.

So, whether the companies are verticallyintegrated or not might not make that much difference,

For The Record, Inc. Waldorf, Maryland (301) 870-8025 150

because the companies, beyond integration or not, could 1 2 be buying on a short-term basis or under long-term 3 contracts, and not jumping into tomorrow, but in the Persian Gulf crisis in 1991, access to long-term 4 5 contracts and provision of long-term contracts by 6 refiners for the wholesale customers they were serving 7 turned out to be crucially important, because the spot gasoline prices tended to be unusually more volatile 8 9 during that crisis than previously.

10 So, I think there's a lot of substance to the 11 comment. I don't know that it's directly linked to 12 vertical integration or not, and of course, it would 13 average out, but locally and temporarily, I think it 14 could be quite significant.

MR. WROBLEWSKI: Okay. Did you want to say something?

Yeah, I mean, just I'm agreeing 17 MR. MURPHY: with what Professor Griffin was saying as well as most 18 19 of what Tom was saying, but the real issue I think and 20 the concern about this is, is there cross-subsidization, 21 is the upstream subsidizing the downstream, or whether 22 the question is whether the downstream is subsidizing 23 the upstream, but I think and certainly the companies 24 that I talk to, their refineries are operated -- not 25 just the refining part of their systems, but each

individual refinery is operated as a separate cost
 center and profit center, and they are expected to make
 a return on that.

So, you would have to question them why there would be a philosophy or a desire to subsidize a particular sector of the industry at the expense presumably of a higher return from the sector in which the subsidy is coming. So, it's not a profit-maximizing, long-term strategy that's in the best interests of the corporation.

11 MR. WROBLEWSKI: Okay, thank you.

12 Did you want to --

13 DR. HOGARTY: Can I make one follow-up comment 14 on that topic?

15 MR. WROBLEWSKI: Sure.

25

16 DR. HOGARTY: Going back into the distant past, 17 say 30, 40, 50 years ago, I think vertical integration was much more important than it is now, and although I 18 19 don't have the evidence to support it, I suspect that 20 the refining marketing units of those days were not held 21 to accountability, and they were allowed to keep going 22 on very low profits, and to that extent, there was some 23 merit to the idea that they were designed to convert the 24 crude oil into products and move it out the door.

So, it may be remembrance of those past days

that's come forward into the future, but what I was saying earlier this afternoon was that beginning about 20-25 years ago, refiners have been subject to accountability rules. They must produce a profit, and that has been the fundamental problem. They have not been able to produce a profit that really compensates the investors for the investment.

MR. WROBLEWSKI: Okay, following up on your 8 presentation from earlier this afternoon, have refinery 9 10 margins increased in recent years, and if so, what 11 accounts for that increase, and are the increases 12 shared -- I know I'm kind of harping on this vertical 13 integration point -- but are the increases in 14 profitability or refinery margins, I should say, are they shared equally across those who are vertically 15 16 integrated and those who aren't?

DR. HOGARTY: Well, I'm pretty sure on the first part, in the last few years, refinery margins have gotten better. They were dismal in the early 1990s.

20 MR. WROBLEWSKI: And what accounts for that 21 change?

22 MR. MURPHY: I think it's largely been -- and 23 this goes to 2000, and Tom is correct, you can see that 24 the rate of return has increased in 2000 and presumably 25 increased in 2001, although we don't have the data yet

which comes from the Department of Energy's financial 1 2 reporting system, so we haven't got that, but I think 3 the margins were increased in 2001, but you can see in almost every -- in fact, in every year -- now, I don't 4 5 know about 2001, but in every year, and this goes back 6 to 1980, the rate of return in refining and marketing 7 was less than the rate of return for the S&P Industrials. So, it's been consistently a subnormal 8 9 rate of return.

It's increased I think in the last several years 10 11 because of the type of issues we've been talking about, 12 because excess capacity has essentially been eliminated, 13 because boutique fuels have grown and put further 14 pressure on existing capacity, and that has led to higher margins, but those margins even now, and 15 certainly this year, are below the overall rate of 16 17 return in the industry.

18 MR. SLAUGHTER: I would just add on that, I 19 think Ed's absolutely right that, you know, it's so 20 depressing to listen to the Levin hearings and to hear 21 people talk about what prices were this time last year. 22 You know, most of our companies reported dismal results 23 from the first quarter in the downstream sector. 24 Several of them said they had the worst downstream 25 margins in ten years. So, that doesn't bode very well

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

154

1 for where we're going to be this year, and regardless of 2 the general movement of profitability in the refining 3 sector, it's always well below, you know, the average 4 for industries.

5 DR. HOGARTY: I'd add that the U.S. refining 6 marketing sector is not only below the average for the 7 U.S. industrial, but it's worse than foreign refining marketing, and it's markedly worse than the upstream, 8 and I think that makes a significant difference in the 9 10 long run in the allocation of capital within companies. 11 If the refining marketing unit within company X must 12 compete with the upstream and must compete with foreign 13 refining marketing, its dismal rate of return is a poor 14 recommendation.

Furthermore, within the refining marketing 15 16 sector, again, I don't have the data to prove this, because the data are not segmented by refining and 17 marketing, but my suspicion and hunch based on anecdotal 18 19 evidence over the years has been that the refining 20 sector by itself is really bad in terms of profitability 21 in that it is sort of an albatross around the marketing 22 arm of some of the companies, so that the combined 23 refining marketing segment looks bad, but the refining 24 by itself will be just terrible.

MR. WROBLEWSKI: If that's the case, if the

25

refining margins have been so low over the past decade, 1 2 when you look at California, there's been a marked 3 increase in the number of independents who have kind of expanded into refining, you know, who weren't vertically 4 5 integrated. If you look at the share that -- I quess 6 I'm going to say downstream vertically integrated, that 7 refiners and the marketers have, it has increased 8 substantially.

9 If refining returns have been so bad, why are --10 what's the business model for these new independents to 11 come in?

12 DR. HOGARTY: I'd like to start on that. PADD 5 13 has much better profit rates than the other PADDs. 14 That's the number one thing. And historically, PADD 5 and especially California have been isolated from the 15 16 other PADDs in terms of receiving product in-flows, and I think that isolation goes back long before California 17 reformulated fuel, and it has merely been worsened by 18 19 the CARB gasoline. That has made it just more difficult 20 to get into the California market. But the financial 21 reporting system data I believe show that the PADD 5 22 profit rates are noticeably higher than in the other 23 PADDs.

24 MR. MURPHY: Of course, you know, the other 25 thing to keep in mind if you go back 25 or 30 years,

you'll see that there were, in fact, many, many smaller 1 2 refiners in California that essentially have gone --3 well, essentially they have gone out of business, and so that is a direct result of the big economies of scale 4 5 and the large investments that have been applied in the 6 environmental area. So, they have been driven out of 7 that market, and the remaining companies are very large 8 companies pretty much.

DR. HOGARTY: Right, and one last thing. 9 One business model for California or the West Coast or PADD 10 11 5 would be an individual company, ARCO. I think ARCO 12 has been a leader out there in running refineries at 13 high utilization rates, realizing large economies of 14 scale and trying to generate large volumes, and ARCO has, through its effective competition, forced the other 15 16 companies to respond, and I think grounds could be made for the California refineries having been forced by 17 competition from ARCO to become more efficient than some 18 19 other places.

20 MR. WROBLEWSKI: Okay, thank you.

Now, just the one last point I want to make or ask about in terms of refinery issues is that we've heard a lot about -- and this is the point I guess I was trying to make in your graph that you showed, Bob, earlier -- we've heard a lot about how refinery

1 utilization is at such a high number. Is it because 2 high refinery utilization is efficient given the large 3 investments that have been made? Is that the reason? 4 So, it's not necessarily a bad, but that it's actually a 5 good?

6 MR. SLAUGHTER: Well, I mean, the investments 7 are extremely large, and I think there are a lot of numbers that show how much money has been put in the 8 plants. You know, obviously domestic refining still 9 10 makes sense for many people, because we still have a 11 significant percentage of our refined product 12 requirements refined domestically. We just simply 13 though, in order to meet demand, have got to run plants 14 all out, and I think you want to get everything you can 15 out of your plant because of the investment that you've put into it. 16

The other thing, you know, even in recent years, with the elimination of the spare refining capacity that we had during much of the nineties, you know, when we've had the types of supply/demand balance, the industry has been comported by several Secretaries of Energy now to do everything we can to even postpone turnarounds and necessary maintenance.

24That, of course, has to be done sometime, and25most people don't understand, that has to be scheduled

1 years in advance. You have a troop of people who come 2 in and do it, and you have to be very careful about when 3 you do it. You're taking yourself out of the market.

We have had to tell several Secretaries of 4 5 Energy, well, if it -- you know, if we need to take it 6 down for safety, it just has to go down and that's it, 7 we have to do the turnaround. Some of it is discretionary, but then it has to be done at some point, 8 9 and when the appropriate period comes along and it's 10 done like it was in the last few months, we then get 11 criticized for having capacity down and not producing 12 full tilt all the time.

13 So, I think it's kind of that constellation of 14 factors, but, you know, one of the questions I think 15 that all of us have is, you know, how long can you run 16 at this high rate of capacity? And increasingly it's 17 just expected of us all the time.

I mean, one of the things that was interesting, I mean, one of the things that was interesting, I'll just throw in there, was to look -- you know, demand was significantly down last year. I don't think the utilization rate ever went below 86 percent? MR. MURPHY: Thereabouts, yeah.

23 MR. WROBLEWSKI: Even though demand was low 24 you're saying?

25

MR. SLAUGHTER: Even though demand was low, and

For The Record, Inc. Waldorf, Maryland (301) 870-8025 159

1 it was interesting, we didn't really have any idea of 2 what the nadir was there, and 86 was about as low as it 3 went.

MR. WROBLEWSKI: Okay, thanks.

4

5 I want to switch gears again and move into 6 inventories, and one of the things that prompted the 7 Commission's investigation into gasoline prices has been their volatility. If we were to try to reduce 8 9 volatility in refined petroleum products, what would we 10 have to do? What would we have to do in terms of trying 11 to provide some type of insurance? What effect would 12 whatever policy we had have on refined petroleum prices? You're looking exasperated, Professor Griffin. 13

MR. GRIFFIN: I was just thinking back to the fiasco of the 1970s, and here we're going to relive all this again.

No, sure, I quess the Government could either 17 mandate that refiners hold certain levels of inventories 18 19 or the Government could actually buy them and maintain 20 them themselves and then assume that some omniscient 21 bureaucrat is going to know when to sell these. I just 22 think about all of the uncertainties in life, and, you 23 know, friends get sick and get cancer, and we're here 24 worrying about the price of gasoline and its volatility. 25 I guess if I want to buy an insurance policy, you know,

I I'm going to worry about my health or something, but I don't -- to me, gasoline is inherently a volatile -- the prices are inherently volatile, but there's very good economic reasons for why it is.

5 The good news is that it's not a large part of 6 our budget for the most part, and aside from providing 7 discussion in Congress, I just don't think it's one of 8 the burning issues of the day.

MR. MURPHY: Just, you know, it's somewhat 9 10 analogous to monetary theory and why we hold cash and 11 you hold cash for several reasons, but two of the 12 reasons is -- one is transactions, because you need to 13 have a certain amount of cash in your pocket because you're going to go out and buy something on a daily 14 basis or you can't walk around with no money, and we 15 16 have a certain amount of product in the pipeline for exactly the same sort of reason, because you need to 17 supply it on a regular, ongoing basis. 18

19 The second reason you hold cash is because you 20 have a concern that you're going to be faced with a 21 large substantial expense or some need for that money, 22 precautionary demand, okay? One of the reasons you hold 23 inventory is because you don't know what's going to 24 occur, and you hope as a businessperson that if that 25 some unusual occurrence occurs you are going to be able

to sell that inventory at a higher price than you paid for it, and that relationship is pretty much described in the futures exchanges in the differences between the current and futures prices.

5 If, in fact, you set up a program that says if 6 that event were to occur, then I, the all-knowing 7 federal bureaucrat, are going to release these inventories and depress that price and remove any 8 possibility of receiving that rate of return on those 9 10 inventories, you're going to see an offsetting reduction 11 in the private inventories to correspond with the 12 government inventories, and so you haven't really 13 achieved anything other than sort of made the system 14 more sluggish, because then you require a bureaucrat to say, now we need the inventories. 15

And of course, one of the issues that arose in 16 the Midwest was whether or not those people released 17 inventories as quickly as they did, as they should have, 18 19 given perfect hindsight about how long the problem was 20 going to last, and I submit that that is a problem that 21 I would rather leave to private decision-makers rather 22 than to the Secretary of Energy to decide that today is 23 the day that we go to five days of inventory or four 24 days or whatever the amount would be.

25 MR. WROBLEWSKI: Mary, did you want to add

1 something?

2	MS. MORGAN: Just one comment just as a
3	reference material that you may want to look at was the
4	studies, you know, on this subject, you know, that were
5	commissioned out in California, the thing about
6	strategic reserves and so on and so forth, and then
7	there are physical limitations, too, for this inventory
8	issue, particularly, again, I hate to keep harping on
9	this tankage issue, but I mean that has a lot to do with
10	it, and different parts of the country have very
11	different amounts of storage, tankage, actually
12	available, you know, to accommodate that kind of thing.
13	In some places, it just isn't available.
14	MR. WROBLEWSKI: Has anybody tried to quantify
15	what the savings have been or the effect has been on the
16	reduction because of the reduction in inventories,
17	has anyone tried to quantify what that effect has been
18	on refined petroleum prices?
19	MR. SLAUGHTER: I'm not aware of it.
20	MR. MURPHY: I'm not aware of anything. Tom?
21	DR. HOGARTY: Nothing occurs to me offhand. I'd
22	start with the rule of thumb of a penny per gallon per
23	month to store the stuff and work it from there as a
24	guesstimate, and I'm really beyond back of the envelope
25	here, but I think that would be how you would go about

1 it.

4

2 MR. SLAUGHTER: Michael, could I just throw in 3 one thought on storage?

MR. WROBLEWSKI: Sure, sure.

5 MR. SLAUGHTER: I mean, the idea in the last 6 several years -- I mean, we have always had certain 7 parts of the country that are looking for special Hawaii has always been looking for product 8 storage. The East Coast looked for years for product 9 storage. 10 storage, particularly in heating oil, and it finally got 11 some. California is talking about a reserve, California 12 gasolines and fuels, and now the Midwest has been 13 talking about an ethanol reserve, although I think Ed is 14 trying to take care of that for them, but the one thing I see is that there's a medieval concept here, you know, 15 16 where you can kind of see America just bustling with all these little medieval reserves of their own fuel and 17 really acting as if the super efficient distribution 18 19 system we have isn't there, and it's all going to add 20 additional costs, plus we know that the product is in 21 storage, you have basically got to come in and out of 2.2 the market all the time and refresh that, so there is 23 all kinds of interference with the marketplace.

24 MR. MURPHY: Let me suggest, a couple years ago,25 when the prices last went up, we were very concerned

about it, we actually went out and did something which 1 2 we hadn't done before, which was talk to consumers on an actual formal basis and talk to them about what we saw 3 as a crisis, and their response -- and the crisis was 4 5 qasoline prices have increased substantially in a very 6 short period of time, and the response we got, the 7 uniform response we got was this is not a crisis. It is not imposing hardship on us. 8

9 Yes, we recognize that gasoline prices are 10 volatile, and we recognize that prices are going up, and 11 they have gone up and have come back down again. So, I 12 think there's been a growing understanding on the part 13 of the general public that gasoline prices are volatile, 14 that overall prices have been low and have been falling, and certainly in real terms, but that they are more 15 16 volatile than they were 20 or 30 years ago.

MS. DeSANTI: Let me ask just a follow-up 17 question to make sure that I'm getting the gist of what 18 19 you're saying, because I think what we're trying to get 20 at here is the relationship between price volatility, 21 and if you don't have price volatility, what's the 22 effect going to be on average prices, and presumably, 23 just as a matter of math, one would think that average prices then would be higher. If you were having 24 25 increased costs to hold additional inventory, then on

1 average, prices would be higher, and that would be the 2 price you would pay in order to reduce price volatility. 3 Is that a correct understanding?

MR. MURPHY: That's correct. 4 5 DR. HOGARTY: Yes, I endorse that fully. I'd 6 say average prices would be higher in large part because 7 you would not have those distress periods like 1998 when the prices really fell. I think they came down to a 8 national average of 95 cents a gallon for gasoline. 9 Т 10 think that attempts to stabilize would eliminate those, 11 and that was one of the lessons we took out of the 12 1970s, that the effect of setting ceilings tended to 13 produce floors as well.

14 MS. DeSANTI: Okay.

MR. CRESWELL: Ed mentioned a precautionary stock. Has anybody tried to calculate what the cost of the Chicago spike was to a typical Chicago household and how that would compare to let's say the average cost of a penny per gallon for consumption over a year?

20 MR. MURPHY: I'm not aware --

21 MR. SLAUGHTER: I don't know that anyone's done 22 that, but I think you also have to keep in mind that the 23 Midwest, after it went through the price spike, then 24 enjoyed some of the lowest prices in the nation for the 25 rest of that year. So, you know, if somebody does such

1 a calculation, I hope they include the money that was 2 saved after the price spike on an average -- compared to 3 the average as well as the cost of the price spike, but 4 I'm not aware that anybody's done that calculation.

5 MR. MURPHY: This sort of -- again, I alluded to 6 it before, that there is somewhat of a market test in 7 the heating oil market on the East Coast where consumers are offered a consistent price in several different 8 9 terms, in some cases a price sold through the year and 10 in some cases a fixed price based on purchasing in the 11 summers, and those programs wax and wane in their 12 popularity, but by and large they're not that popular.

When you have a price spike, obviously they become more popular, and one becomes more interested in life insurance when one gets the plague, but by and large, consumers I think -- and this is the point I'm making -- are not interested in higher average prices or higher prices overall in order to avoid price volatility.

And of course, there are mechanisms that could be established, obviously commercial consumers who might have ready access to the Mercantile Exchange, for instance, so they can, in fact, assure themselves of that, and even in that case it's fairly minor. MR. WROBLEWSKI: I just wanted to follow up on

something that Bob had said earlier, is that one of the things that we've noticed in these recent price spikes in the Midwest and in California has been there have been some infrastructure impediments. So, the question that I have for both Steve and for Mary are what are the biggest obstacles in terms of expanding capacity in terms of pipelines into these constrained areas?

8 I mean, when you look at the Southeast, Steve, 9 you said, you know, there hasn't been a price spike yet, 10 but when you look, well, there are two main pipelines 11 running through there. What are the biggest impediments 12 to getting additional infrastructure to make the markets 13 bigger in California and in the Midwest? I'll leave it 14 at that.

MS. MORGAN: Well, I'll start with just some 15 discussion, because a lot of people have heard about the 16 17 Long Horn Pipeline, because this is an example of where 18 there's been a lot of discussion about how bringing 19 product from the Gulf Coast both into the West Texas 20 market and on into Arizona, what impact would that have. We have heard about, you know, prices and margins in 21 22 California and Arizona and other places like that. So, 23 in that case, there's really two parts of the whole 24 pipeline expansion.

25

First of all, I think Long Horn's been working

For The Record, Inc. Waldorf, Maryland (301) 870-8025 168

on having their pipeline come in. Now, I know that they 1 2 talked to me about it as long as ten years ago when they 3 were very first starting on the project, and they have encountered a lot of local resistance in various 4 5 communities, like in the City of Austin and things. 6 It's the same thing that we talked about, that people 7 don't want it, okay, they don't see it as a benefit to If people in El Paso have cheaper gasoline, they 8 them. They don't want it going in there. 9 could care less.

Then there's all of the permitting. I think 10 11 everybody talked about that. I mean, we're working on 12 projects that we have been working on -- typically no 13 pipeline project is going to make it in less than five years. It just isn't even possible in today's world 14 from the very conception, the permitting period is 15 typically going to be -- I mean, if everything is going 16 just right and say you're only replacing pipe, not 17 building a new one, you're probably faced with two to 18 19 three years, even though that could be looked on as a 20 maintenance project as much as an expansion project. 21 So, permitting.

22 Right of way things, because there have been 23 issues coming up with different things, such as Indian 24 Reservations and other groups haggling with right of way 25 problems. And then, again, there's probably a slight

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

169

difference between a pipeline company that is basically owned by a group of refiners versus one that isn't, one that's, you know, just simply providing transportation. You have to have the support of the people that are going to use the pipeline, and they may have very different interests.

I mean, I believe there is a lot of competition, you know, in that industry, because I deal with all of these different people every day, and they never agree on anything. So, I mean, that's the only thing that leads me to believe that they are constantly competing with each other, and so they have different --

MR. MURPHY: You should try a trade association,Mary.

MS. MORGAN: And so in this case, they'll say 15 16 Long Horn really does get up and run it, then there's been a lot of discussion about Kinder Morgan's line that 17 goes from El Paso to Tucson and Phoenix. There's also 18 19 pipelines coming from Los Angeles to Tucson and Phoenix. 20 The product actually passes each other going in opposite 21 directions. So, in that case there's been questions, 22 how do people want to supply the market?

And so, you know, we've been looking at an expansion of that pipeline into there for a long period of time. The issues go all the way back to the economic

regulation that Steve mentioned, such as, you know, we 1 2 are regulated by the Federal Energy Regulatory 3 Commission as to the tariffs that we can charge, and again, those stay basically the same over time. 4 The 5 indexing allows you to go up a little bit, but then on 6 the other side, there's all of this other rate-making 7 methodology that actually can lower your tariffs significantly. 8

9 If you're faced with a tariff that's going to be 10 half what it was ten years ago, how are you going to 11 make an investment and make any kind of return to 12 support that? So, it's all of these different 13 regulatory things as well as, you know, what do people 14 want in the market?

MR. WROBLEWSKI: Steve, do you want to add something?

MR. JACOBS: Yeah, I would add one point, which is a further elaboration of the tariff point that Mary made.

You know, I mentioned that we're trying to build a pipeline across Alabama into Tennessee, and we will have spent \$50 million in the permitting process before we begin construction. There is a risk that we get up to the day before we start, and we get told no. That \$50 million is not a charge, is not a fee that gets

passed on in our tariffs. That \$50 million, we rolled the dice and we lost, right? And we go away \$50 million poorer than when we started.

So, when you begin one of these projects, you go through all the issues associated with the business risk, the political risk to do it, the question is, is there sufficient return to justify the investment?

8 Unfortunately, in many cases, the answer is 9 probably not, or there's too much risk associated with 10 it, business risk associated with it that it's better 11 not to deal with it and live with the infrastructure 12 that exists today.

MR. WROBLEWSKI: Do either of your pipelinesoperate under market-based rates?

15 MR. JACOBS: Yes.

MR. WROBLEWSKI: What effect have those had on the way you operate your business?

18 MR. JACOBS: Colonial Pipeline was granted 19 market-based rates to markets in New York, New Jersey 20 and Pennsylvania last October -- I'm sorry, last summer. We've implemented a program now with market-based rates 21 2.2 into those markets. It's about 20 percent of the 23 business we do, is market-based rates. The other 80 percent is the index method that I described earlier. 24 25 MR. WROBLEWSKI: And market-based rates, just

1 for the record, they require you not to notify FERC or 2 you -- I guess you notify FERC the day you make the 3 change in the rate for the usage of the pipeline. Is 4 that what it --

5 MR. JACOBS: Well, let me back up just one 6 second and explain.

7 Market-based rates are when the FERC decides that you don't have strong enough market power to 8 9 influence prices down at the retail level. If you were 10 to raise your tariff a dime and gas prices went up an 11 equivalent amount, they would consider that to be 12 there's not a competitive environment. So, specifically 13 in the Northeast, they look at all the sources of 14 supply, including the indigenous refiners in the Northeast, plus the import barrels, plus other pipelines 15 16 that serve the market, and say you can change your price 10 cents a barrel, and people will decide to use you or 17 If your tariff is too high, too high above the 18 not. 19 market rate, they will decide to provide another source 20 of supply into that market.

21 So, now your question was how has that affected22 our rate-making ability?

23 MR. WROBLEWSKI: Yes.

24 MR. JACOBS: I would say not significantly.
25 We're always looking at the FERC tariff as a method to

set the number, but it doesn't tell you what the tariff is. The tariff is a pricing tool, and you need to set your tariffs in order to be competitive in the marketplace to attract the business onto your system. So, I don't think it has changed substantially the way we look at tariffs.

MS. MORGAN: And I'd just like to add in addition to regulation at the federal level, perhaps like in California, there's regulation at the Public Utility Commission level, and a difference between, like, Plantation and Colonial, they're like one long pipeline that may deliver to a lot of markets.

Out in California, it's more of a hub and spoke 13 14 arrangement within the state itself. So, a lot of competition on the relatively short hauls, as with 15 16 trucking and things like that. So, even though -- I mean, we have attempted to have market-based rates, it's 17 18 still before the Public Utility Commission there, but in 19 our thinking for expansions and things, typically 20 because there is a lot of competition, we would have to 21 price, even if we got the market-based rates, we would 22 have to price them lower than what you would get on your 23 traditional cost of service or rate-making methodology 24 simply to remain competitive on the short hauls. 25 There's a big difference in pipeline

1 transportation like Steve's for a thousand miles,

pipelines are going to be every other mode, but in short haul, there can be a lot of other factors, just depending on whether the oil company involved has their own employees as truck drivers and owns their own trucks and that's a cost that they've already sunk, versus the pipeline. So, it can be different in different places.

9 Did you have any more questions you wanted to 10 ask on transportation?

11 MR. CRESWELL: I guess I have one, a general 12 question. We have been talking a lot about 13 environmental regulations. This Agency's encouraged or 14 required a good deal of restructuring of both the refining segment and the pipeline segment, and since 15 16 we're on pipelines at the moment, both your organizations have -- or some of your properties have 17 18 been affected by some of our divestiture orders, and I 19 just was wondering, has that had any effect on your 20 operations or your long-term expansion of capacity, that 21 there's been this change in owners or change in 22 organizational structure?

23 MS. MORGAN: Well, I can describe the effect 24 that I believe. I believe that for a company like 25 Kinder Morgan, which again, in its most basic business

is a provider of transportation and storage, not buying 1 2 and selling products, we don't own refineries to make product, we don't have retail outlets to sell it, so 3 when I look at the evolution of something like, say, 4 5 Plantation Pipeline, which before was owned by three 6 major oil companies, they may have had a different 7 decision tree in deciding when to expand. They might be influenced by other factors, where for Kinder Morgan, we 8 want to move every barrel of gasoline or diesel or jet 9 10 fuel we can, because that's the only way we make money. 11 So, we want to expand whenever we can get any kind of 12 decent return on it, because that's our business, that's 13 our core business.

14 And then also, when I was with Santa Fe Pacific before Kinder Morgan, we were owned by the railroad, and 15 so again, it wasn't the railroad's core business. 16 They, you know, they weren't as interested in investing in 17 pipelines and everything, whereas Kinder Morgan, I mean, 18 19 that is the business, and so there's a lot more drive, 20 and Kinder Morgan also obviously has acquired assets, 21 you know, as both the business model for, you know, the 22 majors and integrated companies, they've wanted to 23 divest more and more of the midstream assets for a lot 24 of the reasons probably that people have talked about. 25 You know, it's a challenge making money all the

1 way up and down that integrated, you know, range of 2 businesses, where someone who is a specialist in 3 operating pipelines and terminals may be able to provide 4 that service to them at a slightly lower cost, and so 5 for us, as more people have reasons to divest 6 themselves, it creates opportunity for us.

Again, a lot of times our customers tell us they like doing business with us because they -- rather than perhaps if they have a choice in going in a terminal that's owned by one of their competitors or one that's going to act pretty much as a third party and treat everybody the same, they prefer, you know, not to -- to have that other obstacle.

MR. WROBLEWSKI: Steve, did you want to add something?

MR. JACOBS: Yes, I would. Colonial has eight 16 owners. Colonial was originally built back in the --17 went into operation in 1963. It had ten owners. All 18 19 were integrated major oil companies. Today, we have 20 I have personally been at Colonial for three eight. 21 years, and in the three years, there has been three 22 ownership changes, and all of them have resulted from 23 FTC-led decisions. I have not seen any change in the 24 decision making.

25

Colonial operates as a very independent company

with a very rigid corporate governance model that decision making is around what's to make the most money for the integrated pipeline company, the stand-alone pipeline company I should say, and I haven't seen any significant changes in decisions coming out of our board as the ownership has changed.

MR. WROBLEWSKI: Okay, thank you.

7

8 MR. FRANCZYK: I know the pipeline companies 9 have mentioned and I think even the EPA White Paper on 10 boutique fuels mentioned that the proliferation of 11 boutique fuels has effectively reduced the capacity of 12 pipelines. I wonder if anybody has quantified that, and 13 also, if you have, where you see that going in the 14 future in a worst case scenario.

MR. JACOBS: The future question is going to be 15 16 harder to answer. Today we see probably 2 percent, 3 17 percent in product that gets downgraded in the transmission. Moving multiple grades of product, you 18 19 get to the end, and there's an interface material that 20 doesn't meet any of the specs. That gets pulled offline 21 and gets reprocessed and separated into finished 22 components to meet the specs.

We've talked about lost capacity in dealing with the number of unique grades and boutique fuels. I think in total there may be a 2 percent or 5 percent

impairment to business as a result of that. You do your
 darnedest to keep running at full steam ahead.

I mean, I would look at the analogy of you're 3 running down the highway with cruise control at 65 miles 4 5 per hour, and you now enter into a metropolitan area 6 with lots of entrance and exit ramps and therefore a lot 7 of traffic getting onto and off of the system. Ιt causes you to have to brake, turn off the cruise 8 control, reduce your speed to 55 at certain times, 9 10 increase your speed back to 65 once you're to a 11 steady-state condition. We find ourselves hitting the 12 brake more often than what we would otherwise have to 13 because of that.

MS. MORGAN: And the thing that I'd like to add, and again, I am going to describe more the California situation, as we talk about other things like refining capacity hitting its level, a lot of the pipeline segments or the pipeline systems are very close to capacity. So, it gets worse.

20 We may have been able to stay within 2 to 5 21 percent -- in California, we have 136 grades of gasoline 22 or at least that we move through our system, okay? I 23 mean, it's mind-boggling how many there are. But as we 24 get closer to capacity, it becomes worse, okay, because 25 just in the last month, as I've had to talk to all of

the major suppliers, refiners out there about this thing about ethanol, they don't know whether they want to go early or they want to go late, you know? They say can we ship both a slate of CARB gasoline as well as RBOB as well as all these others that are going to Arizona and Nevada and all of them?

7 I've told them, I can nominate them, but I can't quarantee my line won't qo into proration because of it. 8 I don't know who's going to do it. Again, it's this 9 10 thing about the proportion. If everybody switched, it's 11 an easy switch, because then you don't have to worry 12 about moving it through these tanks, and there's tanks 13 all along this whole thing. If the wrong proportion of people switch, it can hurt my capacity enough to put me 14 into proration, but I can't predict that, because now 15 there's all this uncertainty about what's going to 16 17 happen.

I think everybody's doing their dead level best to decide, but with everything that's going on -- so, it gets worse as you reach capacity.

21 MR. MURPHY: We haven't looked at the issue as 22 to pipeline capacity, but we have looked at the effect 23 of increased transmits, loss in product, as you go to 24 very low sulfur content in gasoline and diesel, and in 25 the environment where we're concerned about the adequacy

1 of production volumes to begin with, we think that 2 there's a substantial problem in terms of increase in 3 the amount that you lose in the pipeline, particularly 4 in the diesel area.

5 I just sent a letter to EPA last week asking 6 that they put a pipeline person on the FACA, the 7 commission that they have to look at the adequacy of it 8 for exactly this reason.

MR. WROBLEWSKI: Okay, thanks. 9 I have two more 10 The first one really deals with FTC merger questions. 11 review and remedies, and given that probably in the next 12 few years we'll probably see more stringent gasoline 13 requirements and other refined product specifications, 14 do we here at the FTC need to look beyond the simply refinery calculations, refinery capacity calculations, 15 16 in making a preliminary assessment of a merger to consider the ability of that refinery to produce 17 specific final products or specific streams of products? 18 19 Should we be more detailed?

20 DR. HOGARTY: The question is what is the scope 21 of the relevant market, is that your question?

22 MR. WROBLEWSKI: Right, that's right.

23 DR. HOGARTY: Yeah --

24 MR. MURPHY: Well, I mean, I'm certainly not 25 going to suggest increased FTC scrutiny, but I would

suggest that one of the things that we have proposed if 1 2 this bill is enacted is that the number of so-called 3 boutique fuels, and you can do the count in many different ways, and the way we do the count we get 4 5 around 15, and you can get much larger numbers if you 6 include different grades and things like that, but the 7 number of boutique fuels be reduced from 15 to 5, and we think that can be done and that can be done without 8 sacrificing any environmental qualities. 9

10 The effect of doing that is to increase the 11 fungibility of the market, to increase competition, to 12 increase the availability of supplies, and so that would 13 work in the other direction. If that is successful, 14 this boutique fuels problem is going to be much, much 15 less of a problem in the future years.

16 MR. SLAUGHTER: I'll just jump in and say that, again, you know, one of our concerns there is the burden 17 on the industry, and to the extent that the number of 18 19 boutique fuels is rationalized, it's all going to be in 20 the direction of tighter specs and tougher environmental 21 compliance, and we're worried about the impact on the 22 investment requirements for individual refiners and, you 23 know, there are efficiency gains that can be had if we 24 had fewer boutique fuels, particularly pipeline system. 25 I don't think any of us would argue about that,

but the refining part of the system is severely stressed 1 2 now, and we are concerned about reducing the number of 3 boutique fuels and the impact that it might have on refiners who are currently in business if they have 4 5 another fuel spec on top of everything else. So, 6 there's a distinction I think between where API is and 7 where we are on this, but it's not really that I disagree with what Ed is saying. 8

9 I'm just looking ahead to the way that kind of 10 works out in the political mix, and everything that 11 seems to happen to us goes in the direction of more 12 investment requirement, and we're, you know, many times 13 burned, many times shy at this point.

14 MR. WROBLEWSKI: My last question deals with -you know, we've talked about -- this morning and then 15 this afternoon we've talked about many different factors 16 that can affect the prices of refined petroleum 17 products. If I were to ask each one of you which are 18 19 the two most important, you know, so we ranked them, was 20 it crude, was it capacity utilization, is it the fact that demand is inelastic, is it the environmental rules 21 22 in terms of varying fuel specifications, is it changes 23 in concentration in refining in various markets, how 24 would you rank those in terms of which are the most 25 important factors?

MR. MURPHY: Well, I wasn't here for the morning, but I think by and large the most important contributor to gasoline or any product volatility, price volatility, is crude oil prices, and that has been the ongoing problem and issue and is likely to continue being the ongoing problem and issue.

7 What we've talked about this afternoon, of 8 course, is on top of that or what happens to the product 9 prices on top of crude prices, but if the question is 10 what is the largest contributor to gasoline price 11 volatility, by all accounts it's crude oil prices.

12 MR. WROBLEWSKI: And what would you count to be 13 the first among equals in that second tier of the issues 14 that we discussed this afternoon?

MR. MURPHY: I would put the lack of -- or the 15 16 shortage in refining capacity and then a lot of things that contribute would go into that, boutique fuels is 17 part of the problem there, the oxygenate mandate is part 18 19 of that problem, but it's essentially the limited excess 20 capacity to compensate for unexpected changes, shifts, 21 run-outs, whatever, that contributes to price 22 volatility.

MR. WROBLEWSKI: Mary?
MS. MORGAN: I would agree in the same order
with the prices, because I had someone just in our

meeting the other day say, well, what happened a year or so ago, why did these prices -- I said, well, crude oil went from \$13 to \$26 dollars, and people were shocked that prices went up? Well, not only here, because they were talking about natural gas, too, and this, that and the other. I said, you know, why is anybody surprised when that happens?

So, I definitely agree with that, and I agree 8 9 with -- because just in all of these emergency situations we've had to live with, you know, is when 10 11 some kind of disruption happens, you know, a major 12 unexpected refinery fire or something like that, I mean 13 we all lived through that when this happened in 14 California, and those kind of things, you know, they are -- they have almost an immediate effect. 15

16 But I also agree, even though as a pipeline 17 person I'm really not supposed to talk about prices, but, you know, we saw prices -- because people asked me 18 19 about it, and I'd look at OPIS, and the prices in 20 California were one-third. They were so low just two or 21 three months ago, they were lower than they had been in 22 like ten years, but nobody ever complains, you know, 23 when they're low. They only complain when they're high. 24 But anyway, I agree with the order.

25 MR. WROBLEWSKI: Steve?

For The Record, Inc. Waldorf, Maryland (301) 870-8025 185

MR. JACOBS: Well, I started my presentation 1 2 with an apology that what I was going to say was a 3 repeat of what you've heard before, so I'll again apologize and again mention that I hope a repeated 4 5 message gets remembered. I think Ed touched on it very 6 eloquently with the issue around capacity. The industry 7 does not have sufficient capacity to deal with upsets. It doesn't have excess capacity to deal with upsets. 8 We 9 run fine in a steady-state condition.

10 MR. SLAUGHTER: I'd agree with everyone else. 11 I mean, the biggest correlation is the crude price. 12 The crude price drives a lot of it, but when you look 13 at things that we really can affect, particularly here 14 in Washington with public policy, you know, I have to say that you have to focus on things you can affect 15 16 here, and one of those things is, you know, the extremely large environmental costs that are put on the 17 18 industry.

In terms of what you can actually do something about as opposed to just have hearings about, that is something that can be done we think more efficiently than it is now, but, you know, one of the things at the Levin hearing last week, the first panel was asked, you know, do you think a new refinery will be built in the U.S.? And the answer was no. Would you build one?

> For The Record, Inc. Waldorf, Maryland (301) 870-8025

186

1 Well, no, we don't think we need one.

2 Of course, there were some of the biggest 3 refiners there who have substantial investments already in the industry, so I can understand why they would say 4 5 it, but, you know, the impression I think that was left 6 with the panel was that we don't need more refining 7 capacity, and I think we do. I agree with Ed that we don't have enough spare capacity, and it would be a big 8 plus for everybody if we had some. 9

10 One of the problems, though, is that I don't 11 think that the American consumers want to support any 12 extra costs in gasoline, and they would have to support 13 some extra costs in order to have some additional 14 capacity, you know, they're kind of voting with their feet here. They're taking volatility and tight 15 supply/demand balance, but I think Ed's right. 16 Ιt is definitely crude, but there are some things we can 17 work on here in Washington, like the environmental 18 19 burden.

20 MR. WROBLEWSKI: Tom?

21 DR. HOGARTY: Crude oil has to be at the top of 22 the list, at least historically. As to the future, I'm 23 not so sure. What little I know about declining cost of 24 crude oil is that it's much less than current prices, so 25 I'm somewhat optimistic that the long-term crude oil

price is going to be much lower in the future than it
 has been in the recent past.

I think that beyond that, generally capacity 3 to manufacture gasolines and to move them by pipeline 4 5 and other low-cost transportation modes is a key factor, 6 and I will try to be consistent with what I said 7 earlier, that I think the incentives to provide capacity can be made better. It's not an answer to 8 9 say that we will not have a new refinery of the large 10 kind anymore.

Even if that were true, there are numerous opportunities to upgrade the existing refining capacities, and I believe that those upgrades have taken place over the years and would take place in greater abundance and that they would greater ameliorate the price volatility problem, especially the spike problem.

So, I agree with the Commission assessment out of the Midwest, that the scarce capacity was really the fundamental factor, and I would put it number one on Bob's criterion that the FTC is an American agency and can deal with problems in the American sector of the oil market, and I think that that's one where the FTC could have a significant impact in the long run.

MR. WROBLEWSKI: Bob, I'll leave the last word

25

1 to you. Since we started out with you, I'll leave the 2 last word to you as well.

MR. LARSON: Okay, well, thank you. Well, the 3 last words are that I think it's been an interesting 4 5 session that we have had this afternoon. I will note 6 that part of my presentation indicated that there was 7 based upon our estimates a 2 to 3 cent difference between the cost of producing winter grade RFG versus 8 9 summer grade RFG, but yet we do see a much greater 10 difference in prices during that time. So, it doesn't 11 seem to be so much refinery cost driven. It must be due 12 to other factors.

13 Clearly during the summer, there is a much 14 greater demand on gasoline product than there would be 15 during the winter, and maybe some of the capacity issues 16 that the folks are raising here are driving that big 17 price issue.

MR. WROBLEWSKI: Okay, thank you.

18

That wraps it up for this afternoon. Tomorrow morning starts at 9:00 a.m., and the session will deal with marketing issues, retail and marketing issues, and it will go from about 9:00 to 12:30. So, we will see you then. Thank you very much.

24 (Whereupon, at 4:12 p.m., the proceedings were 25 adjourned.)

1 CERTIFICATION OF REPORTER 2 DOCKET/FILE NUMBER: P022105 3 CASE TITLE: REFINED PETROLEUM PRODUCTS CONFERENCE DATE: MAY 8, 2002 4 5 6 I HEREBY CERTIFY that the transcript contained 7 herein is a full and accurate transcript of the notes taken by me at the hearing on the above cause before the 8 9 FEDERAL TRADE COMMISSION to the best of my knowledge and 10 belief. 11 12 DATED: 5/14/2002 13 14 15 16 SALLY JO BOWLING, RPR SUSANNE BERGLING, RMR 17 18 CERTIFICATION OF PROOFREADER 19 20 I HEREBY CERTIFY that I proofread the transcript 21 for accuracy in spelling, hyphenation, punctuation and 22 format. 23 24 25 DIANE QUADE For The Record, Inc. Waldorf, Maryland

(301) 870-8025