

FEDERAL TRADE COMMISSION

NIXING THE FIX

A WORKSHOP ON REPAIR INSTRUCTIONS

Tuesday, July 16, 2019

12:30 p.m.

Federal Trade Commission

Constitution Center

400 7th St SW

Washington, DC 20024

FEDERAL TRADE COMMISSION

I N D E X

PAGE:

Welcome and Opening Remarks:

By Commissioner Christine Wilson

Panel 1: How Do Repair Restrictions Affect
Consumers and Small Businesses?

Panel 2: What Are the Arguments For and Against
Repair Restrictions?

Panel 3: What's the Fix?

Closing Remarks by Lois Greisman

1 P R O C E E D I N G S

2 MS. DAFFAN: Good afternoon, everyone.

3 Hello, my name is Kati Daffan. I'm with the Division
4 of Marketing Practices here at the FTC, and it's an
5 absolute pleasure to welcome you all to today's event.
6 Before we get started, I have the absolute pleasure of
7 reviewing some required administrative details with
8 all of you.

9 Please silence any mobile phones and other
10 electronic devices. If you need to use them during
11 the workshop, please be respectful of the speakers and
12 your fellow audience members. Please be aware that if
13 you leave the Constitution Center building for any
14 reason during the workshop, you'll need to go back
15 through security screening again. So especially if
16 you're participating in a panel, please bear that in
17 mind.

18 Most of you received a lanyard with a
19 plastic FTC event security badge. We reuse these for
20 multiple events. So when you leave for the day,
21 please return your badge to security on your way out.
22 If an emergency occurs that requires you to leave the
23 conference center but remain in the building, follow
24 the instructions provided over the PA system. And if
25 an emergency occurs that requires the evacuation of

1 the building, an alarm will sound, and everyone should
2 leave the building in an orderly manner through the
3 main 7th Street exit.

4 After leaving the building, we'll all turn
5 left and proceed down 7th Street and across E Street
6 where there's an FTC emergency assembly area and
7 remain there until instructed to return to the
8 building.

9 If you notice any suspicious activity,
10 please alert building security.

11 Please be advised that this event may be
12 photographed, webcast, or recorded. By participating
13 in this event, you are agreeing that your image and
14 anything you say or submit may be posted indefinitely
15 at FTC.gov or on one of the Commission's publicly
16 available social media sites. And please -- I see
17 that you're all doing this -- take seats rather than
18 standing up for fire code reasons.

19 Restrooms are located across the hallway
20 just outside the conference room. Almost done. The
21 cafeteria will be open until 2:00 p.m. and then will
22 offer limited service until 3:00. So please note that
23 it will be closed during the break.

24 And then here's the last thing on this
25 level, tune into it. There are question cards that

1 are available in the hallway and on the information
2 table immediately outside the conference room and
3 there are also FTC staff throughout the room who have
4 question cards. If you have a question, raise your
5 hand, get a card, fill it out, and FTC staff will come
6 and get it.

7 For those of you participating by webcast,
8 you can tweet your questions at @FTC using the hashtag
9 #nixthefixftc. Please understand that we may not be
10 able to get to all of the questions today, though
11 we'll do our best.

12 Now, I'm honored to introduce Commissioner
13 Christine S. Wilson, who will provide opening remarks.
14 You should look at her entire bio in your program.
15 You'll see an exceptionally broad array of experiences
16 that all inform her work as a commissioner here.

17 She's practiced competition and consumer
18 protection law at law firms such as O'Melveny & Myers
19 and Kirkland & Ellis and also as in-house counsel,
20 including as senior vice president at Delta Airlines.
21 She also spent time in the FTC's Bureau of Competition
22 and as chief of staff for then Chairman of the FTC Tim
23 Muris.

24 Please join me in welcoming Commissioner
25 Wilson to the podium.

1 WELCOME AND OPENING REMARKS

2 COMMISSIONER WILSON: So you can look very
3 closely at my bio and one thing that you will not see
4 on there is any ability to fix or repair things. I
5 definitely trust the experts on that.

6 So let me start, first of all, by welcoming
7 you to the FTC's Nix the Fix Workshop, and then,
8 second, with a question. How many of you watched
9 "MacGyver," not in reruns, not the second one, but the
10 original in the '80s. Did anyone watch? All right,
11 nice.

12 So as I was preparing for this, I had the
13 opportunity to go back and watch some of the snippets
14 and videos and some of the cooler tricks that MacGyver
15 has done. My favorite was when he was stranded on top
16 of a mountain with a pilot from a downed aircraft.
17 And there were enemy soldiers coming up and they had
18 to figure out how to get off the mountain safely. So
19 MacGyver took a flare gun from the downed aircraft,
20 and he pounded it with a rock while the pilot is
21 screaming at him, what are you doing?

22 And so he narrowed the nozzle, and then he
23 grabs the pilot in a bear hug. And he shoots the
24 flare gun, which, of course, acts like a rocket
25 thruster and carries them off the mountain to a safe

1 distance where he can open the parachute that he
2 conveniently grabbed from the airplane and they drift
3 to safety.

4 So, you know, I can't fix anything. I'm
5 inspired by MacGyver and other people who can. And if
6 you've watched "MacGyver," and it seems like a lot of
7 you have, then you know one of the things that he says
8 is there always seems to be a way to fix things. And
9 he uses gum and chocolate and cold capsules and duct
10 tape and whatever else he has in his pocket or in the
11 immediate vicinity to fix things.

12 But in today's connected world, MacGyver may
13 have had a bit more difficulty getting out of sticky
14 situations. Today's consumer devices are more
15 complicated than ever. And this may be blasphemy to
16 the "MacGyver" fans out there, but I'm not sure that
17 he could fix a smashed smartphone with gum and a
18 paperclip. After all, he's not a licensed repair
19 professional.

20 So we go to the heart of today's discussion.
21 When should independent companies and consumers be
22 allowed to repair consumer devices? A bedrock
23 principle in a free market economy is that robust
24 competition provides the greatest benefits to
25 consumers. Competition incentivizes companies to

1 offer the best services at the most attractive prices.
2 And it's based on this understanding that Congress
3 passed the Magnuson-Moss Warranty Act in 1975.

4 The Warranty Act prohibits companies from
5 linking warranty coverage to the use of particular
6 products and repair services unless the company
7 provides those products or services for free. The law
8 was intended to protect consumer's choice and
9 stimulate competition among small businesses vying to
10 serve consumers' repair needs.

11 The FTC takes seriously our mandate to
12 enforce the Warranty Act. Last year, the FTC sent
13 warning letters to several companies whose warranties
14 appeared to violate the anti-tying provisions of the
15 law. Notably, recipients of those letters responded
16 by adjusting their business practices.

17 Of course, while competition is beneficial,
18 it's not the only laudable or worthy goal. Safety,
19 privacy, data security, and other legitimate goals do
20 exist. And manufacturers have explained that they
21 impose limitations on who can fix consumer products,
22 because of safety and security concerns, as well as
23 product characteristics that consumers demand.

24 So today, replacing a battery is no longer
25 as simple as popping in two new AA Duracells, or if

1 you're MacGyver, using a lemon and nails and a copper
2 penny. Instead, this task can require application of
3 specific adhesives that maximize runtime without
4 causing a phone to overheat. Yesterday, I read an
5 article about an iPhone that sparked and burned holes
6 in a child's bedding, and facts are developing.

7 Of course, another concern is consumer
8 privacy. A phone repair person usually is given a
9 consumer's password, which comes, of course, with
10 access to emails, texts, pictures, and other personal
11 information or security programs that are stored on
12 the device.

13 The battery replacement example illustrates
14 how complicated repair questions have become. And
15 weighing questions of competition and other goals,
16 like consumer safety, can bring complexities. But
17 challenging issues like these play to one of the FTC's
18 strengths and, indeed, it's one of the reasons that I
19 love being at this agency.

20 The FTC perennially pursues learning to
21 inform its policy and enforcement approaches. We
22 conduct R&D by engaging with industry participants,
23 soliciting public input, and conducting or soliciting
24 research. And as today's event indicates, we also
25 hold hearings, workshops, and roundtables.

1 I anticipate that input from today's
2 workshop will contribute to the agency's ability to
3 assess the dynamics of the repair market in measured
4 and thoughtful ways. Today's first two panels will
5 explore limitations imposed by manufacturers on the
6 availability of diagnostic tools, software, and
7 replacement parts for products, the rationales for
8 those limitations proffered by manufacturers, and the
9 impact that those limitations have on the ability of
10 consumers and independent repair shops to repair some
11 products.

12 We will also consider the privacy, data
13 security, and safety ramifications of allowing
14 consumers and independent repair shops to make
15 repairs. Panelists will endeavor to identify what
16 costs are imposed on consumers and small businesses by
17 repair restrictions and answer whether the costs and
18 burdens are justified by other legitimate goals.

19 The third panel of this workshop will
20 discuss whether a fix is needed or if competition is
21 effectively protecting consumer interests and wallets.
22 Panelists will explore the existing and currently
23 proposed fixes. They will also discuss whether there
24 are opportunities for consumers and independent repair
25 shops to access the tools and information necessary to

1 make repairs without compromising data security,
2 privacy, safety, and other legitimate goals.

3 So before we get to the first panel, I'd
4 like to thank everyone who made this event possible.
5 First, obviously, many thanks to the panelists and all
6 of those who've already submitted research and
7 comments in advance of this workshop. Second, thanks
8 to Dan Salsburg from the Office of Technology Research
9 and Investigation, and Christine Todaro and Claire
10 Wack, from the Division of Marketing Practices, for
11 planning this event. Thanks to our colleagues from
12 the Office of Policy and Planning, the Division of
13 Consumer and Business Education, and the Office of
14 Public Affairs, who have all provided vital input.

15 And I'd especially like to thank my friend
16 Bruce Jennings and Crystal Peters and their entire
17 team for helping make your Wifi during this event
18 possible. And, finally, I'd like to convey the FTC's
19 appreciation to our in-person attendees, as well as
20 those watching online via our live webcast.

21 Stakeholder input helps us advance our
22 thinking on complex issues like the ones that will be
23 discussed today. We anticipate and hope that this
24 workshop will spark further conversation, research,
25 and collaboration by and among industry, consumer

1 groups, researchers, and staff. We encourage you to
2 submit comments and empirical research through
3 September 16th of this year.

4 And now I'll turn it over to Claire Wack,
5 who will be moderating the first panel.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 PANEL 1: HOW DO REPAIR RESTRICTIONS AFFECT CONSUMERS
2 AND SMALL BUSINESSES

3 MS. WACK: Good afternoon, and as
4 Commissioner Wilson said, welcome to the Nixing the
5 Fix Workshop. My name is Claire Wack. I'm an
6 attorney in the FTC's Bureau of Consumer Protection
7 Division of Marketing Practices. We will be hearing
8 from our panelists on what impacts, positive or
9 negative, repair restrictions have on small businesses
10 and consumers. We will also discuss the potential
11 safety concerns surrounding uncertified product parts.

12 Joining me in this discussion are Jennifer
13 Larson, the CEO of Vibrant Technologies in Eden
14 Prairie, Minnesota; Theresa McDonough, the owner of
15 Tech Medic in Middlebury, Vermont; George Borlase,
16 research staff member at the Institute for Defense
17 Analysis Science and Technology Policy Institute and
18 formerly of the US Consumer Product Safety Commission,
19 where he most recently served as an assistant
20 executive director for hazard identification and
21 reduction; Nathan Proctor, the director of the
22 Campaign for the Right to Repair at US PIRG; and
23 Walter Alcorn, vice president of environmental affairs
24 and industry sustainability at The Consumer Technology
25 Association.

1 I'll be giving each panelist about seven
2 minutes to offer their perspective, at which point
3 we'll move on to a discussion. I will be accepting
4 questions and will ask them as time and conversation
5 allows. If you have a question, please write it on
6 one of the question cards and FTC staff will bring it
7 up to me.

8 With that, we will hear first from Jennifer
9 Larson of Vibrant Technologies.

10 MS. LARSON: Thank you, Claire and Dan, for
11 making this possible. I appreciate the opportunity.

12 So a little bit about myself, I'm the owner
13 and CEO of Vibrant Technologies. I've run the company
14 for 20 years, which means I was a toddler when I
15 started it. We're primarily a reseller of refurbished
16 servers, storage networking, and we're a small
17 company.

18 I also wanted to remark, because I'll touch
19 on this in a little bit, I'm also the founder and CEO
20 of an autism center. My son has autism; he turned 19
21 today.

22 And I also want to make the point that I'm
23 not a PowerPoint whiz. Please don't get your hopes up
24 that in any way this is going to be that amazing.

25 So I was asked to come and talk about, from

1 my perspective, how these policy changes over the last
2 20 years have affected my business and my customers.
3 And I can tell you, over the past 20 years, the OEMs
4 have become increasingly hostile to my market and
5 third-party maintainers. They're doing everything in
6 any way they can to try to stop and control the
7 lifecycle of the equipment.

8 A lot of times we don't have the ability to
9 repair and it goes straight to a landfill. And a lot
10 of times the resale of the equipment, now, sometimes
11 we can't even sell it at all. So things have changed
12 a lot in 20 years.

13 Our biggest issues at Vibrant are licensing
14 and tying. Because I'm a B2B and we do server storage
15 and networking, I deal less with consumers. So these
16 are all licensing issues, property rights issues, as
17 well as tying -- when you tie one product, like
18 Christine was saying, to the next. We see that all
19 the time.

20 I'm going to actually go over a few examples
21 that are just right off my floor. Right before this,
22 when Claire said we needed slides, I went to the back
23 and I just said, okay, guys, download on me, what did
24 we run into today? So I'm going to give some
25 examples. I'm trying to keep them high level, even

1 though they sound technical, because I want you to see
2 real life, how this stuff affects a business.

3 So here's an example -- these are from July
4 1st. So we sold a machine that was \$40,000, an IBM
5 machine, to one of our customers who's a broker in
6 Denmark. They then sold it to a client, an end-user
7 client. Well, apparently, when they got it there, the
8 firmware level was too low to connect with the other
9 equipment that they have in their data center. So
10 they would need what's called a firmware upgrade.

11 Firmware, for those who don't know, makes
12 your equipment connect. So it's interoperability.
13 It's like when you have a printer that you buy to
14 connect to your laptop at home. If every time you got
15 a new laptop or device, you had to buy a new printer,
16 that's what this is kind of like.

17 So they couldn't use it. They had to ship
18 it back. And, you know, we'll probably end up with --
19 with servers, what we're seeing is because of these
20 issues we end up parting them down and reselling the
21 parts to maintenance companies because it's becoming
22 almost impossible to sell servers because of this type
23 of situation. And it's even worse in the US.

24 An example in the US would be, say we're
25 going to sell a machine to a customer in the US and

1 they want it quickly. That's often a benefit of used
2 equipment is we have it in the warehouse, right?

3 Well, so then they have to transfer the
4 serial number and it will make it a lengthy three or
5 four weeks. And then they have to -- they'll say,
6 okay, if you want to get it under maintenance, that's
7 going to be another however long. And in the end,
8 they'll end up buying a new machine because IBM will
9 say, well, why don't you just buy a new machine and
10 we'll give you maintenance super cheap, way cheaper
11 than you'll get on that used machine, and, you know,
12 this can just go in a landfill then basically.

13 I don't know if that makes sense, if I'm
14 going too fast on those topics. Oh, my gosh. I have
15 to go quicker.

16 Okay. So product defects, another example
17 is the POWER8 RAID controllers. They actually have a
18 defect and you can only get the -- fix them if you get
19 a support contract. So basically these are worth
20 1,200 bucks if they're fixed, but you have to buy the
21 support contract, which is more than that, to sell
22 them. So they just get scrapped.

23 Another example is upgrading memory. You
24 can't even upgrade memory, even though it's better for
25 power consumption, unless you have, again, the

1 firmware upgrades. So you have to buy the maintenance
2 again, tying or suspected tying.

3 Or in my own environment, our Cisco ASA in
4 my production environment had a bunch of fixes that
5 needed to be done because of their software that made
6 it vulnerable. So these are problems in their actual
7 product. But I can't get those fixes unless I buy,
8 again, a support contract.

9 And here's one from my autism center because
10 with my own son and all the kids, they have to
11 constantly buy new iPads because you can't update the
12 iPad to have it high enough to get a lot of the
13 programs that are useful for kids that are nonverbal
14 or need an iPad for communication. So I mean, I could
15 give you examples for hours. It's just everywhere and
16 it's affected my business in a very major way.

17 Oh, I forgot I put this one up here. I
18 wasn't sure. So the whole Magnuson Act, I had a
19 furnace go out. We had two furnaces. It was 60 below
20 in Minnesota.

21 Dave, you probably remember this, a few
22 years ago.

23 I couldn't get it fixed because I wasn't on
24 the emergency list because I had another furnace. So
25 a friend of mine who lives down the road said, I'll

1 come over and fix it. I'm, like, yes, because it's
2 freezing on that side of the house. And he did.
3 Well, then the next time someone came out, the
4 gentleman says, your warranty is going to be voided
5 because I can tell there was a third-party repair.

6 I just about lost my mind. I said, it was
7 60 below and you guys couldn't get here. And I'm
8 supposed to -- luckily, he was misinformed, because I
9 about -- yeah. So that's my consumer experience.

10 So overall, I've lost millions in revenue
11 for sure. I mean, I can't even quantify over 20 years
12 how much I've lost. The whole business has
13 substantially changed from whole servers, like I was
14 saying, to having to part them down and sell to
15 maintenance companies. So you get these huge chassis
16 that are going in landfills.

17 Inventory overall has become less valuable.
18 We have angry, angry, angry people when they find out
19 that their hardware is basically worthless when they
20 want to sell it back to us because we can't give them
21 the kind of dollars they think they should be getting
22 for it when they put all this money into it, and, you
23 know, much more equipment going into landfills.

24 I did want to say one real quick thing
25 that's not on here. So Cisco had a really fun thing

1 that came out recently. They're calling it the smart
2 licensing. Instead of the license being perpetual on
3 the device, now you have a subscription to the license
4 and it has to call home every day. And if it doesn't
5 call home to Cisco within 30 days for some reason,
6 they'll shut down your equipment. Not only that, but
7 you can't even sell it on the used market anymore. If
8 you're going to sell the equipment, you have to sell
9 it back to Cisco.

10 So that's just another fun point. And
11 that's about it. Thank you.

12 (Applause.)

13 MS. WACK: We'll hear next from Theresa
14 McDonough.

15 MS. MCDONOUGH: I'll just do my comments
16 from the desk because I don't have a PowerPoint.

17 So today, I'm here to share my experiences
18 as a repair technician. I own my own cell phone and
19 computer repair shop in Middlebury, Vermont. Many of
20 my customers are blue-collar workers, students, and
21 farmers.

22 Over the years, I've come to realize just
23 how reliant we all are on our phones and computers.
24 Most of my customers will say, I can't even be without
25 my phone for an hour. It's pretty funny because most

1 of the time it's the adults who have the problem and
2 not the teenagers, despite what we may all think. For
3 many of them, you know, people are running their small
4 business on their device. So a day without a phone
5 really could mean a day without being paid.

6 What I find most amazing is that many of my
7 customers are return customers. If you have a family
8 of four or five, as many of you may know, it's not
9 unusual to see something being broken every other
10 month. With the average device costing anywhere
11 between \$500 to \$1,000, this could mean a replacement
12 cost of up to \$6,000 a year for the average family, if
13 they could not repair their device. That's more than
14 most people pay in property taxes. At my shop, I can
15 often save these customers thousands of dollars, with
16 most repairs only costing about \$80.

17 I recently had a single mother in. She
18 broke her cell phone and she had her own landscaping
19 business. This woman was literally crying because she
20 had to decide between paying her electric bill and
21 fixing her phone. And even still, this cost of repair
22 was going to be significantly less than replacing it,
23 but it was still a really hard decision for her.

24 I've been fixing phones for about seven
25 years, just out college. After that, I started my own

1 business. And I have seen the repair industry
2 literally do a 360. Although some devices have gotten
3 better, a lot of devices have gotten a lot worse to
4 repair.

5 Just for example, what I see every day,
6 like, a Samsung S4 used to be super easy to take
7 apart. You could change the battery out. I'm sure
8 most of you have had phones where you can replace your
9 own battery.

10 I have a device here. This is the Samsung
11 S6. This device is completely sealed. If I had a
12 customer come in and their charging port was broken, I
13 would have to tell them, in order to fix your charging
14 port, I have to also fix your screen because they
15 glued everything shut. And this is a common
16 occurrence with many devices.

17 Apple's phones are fairly repairable;
18 however, I've seen their computers go from
19 upgradeable, where you could put in a new hard drive,
20 a solid state, which makes them much more reliable and
21 faster, but now you have their computers where
22 everything's soldered right to the logic board. It's
23 almost like looking at an iPad inside.

24 I had a gentleman recently who is a flight
25 attendant and his iPad literally died two weeks after

1 the warranty was void. He had an iPad Pro, very
2 expensive. And, unfortunately, I don't do
3 micro-soldering. It is a very technical, labor-
4 intensive sort of repair. And so this poor gentleman
5 was stuck without a device he could use and he had
6 just paid a lot of money for it.

7 I would say one of the hardest parts for me
8 to source is good aftermarket lithium batteries.
9 Batteries are consumable. It's not a matter of when,
10 it's if, you know, they're going to go. Instead of
11 making these batteries replaceable, many companies use
12 strong adhesives to keep them in. This never used to
13 be the case.

14 The iPhone 5 used to have a pull tab. So
15 why did companies go from having a battery that was
16 easily removable to now basically gluing them in? I
17 don't think this is adding any sort of innovation.
18 This hasn't really changed the devices in my
19 perspective, and I work on these every day.

20 A lot of companies claim, well, the
21 batteries, when you go to replace them -- it's
22 probably the only time that I see the potential for
23 injury for any consumer or repair shop. And this is
24 an issue that companies have created themselves. If
25 you don't want us being injured by repairing the

1 battery, which is going to go, then why glue them in?
2 Why not have them easily removable like they used to
3 be?

4 And then you have companies like AT&T and
5 Verizon kind of perpetuating this issue. They work on
6 commission. So at the end of the day, they're not
7 telling customers, hey, go up the street and get this
8 fixed. They want to sell you a new device. In the
9 US, we throw away 400,000 smartphones every day, and a
10 good majority of these devices are repairable.

11 So I was just talking to a good friend of
12 mine, Robin, who many of you may know. He owns Good
13 Point Recycling. And he was saying, one of the most
14 concerning issues to him is the billions of dollars in
15 potential loss for small businesses because of the
16 possibility of losing the refurbishing market. If
17 companies start using blockchain and RFID parts
18 basically that are not interchangeable, we're going to
19 lose a whole sector of small business.

20 Basically, iPhones have parts that are
21 basically synched to the logic board. So if that part
22 breaks, that is no longer repairable. This technology
23 is not prevalent, but it is coming down the pipeline.
24 And that is really concerning for a lot of small
25 repair shops.

1 Whether you believe in global warming or
2 not, the environmental impact of e-waste is
3 undeniable. And technology is playing a larger role
4 in all of our lives. I just saw on the news the other
5 day that robots are now being used in certain cities
6 to deliver packages. Soon, most of the devices in our
7 homes are going to have complex logic boards, and it's
8 essential that we have the ability to fix these
9 devices.

10 My biggest concern is, what is technology
11 going to cost us in 10 or 20 years from now on a
12 yearly basis? And will the less fortunate among us be
13 left behind because of the economic costs of repairing
14 or replacing these devices? What standards are we
15 going to hold these companies to for quality and
16 repairability? I don't really know of a standard of
17 how long each device is supposed to last. I think, at
18 the very least, we could offer some sort of
19 repairability score for each device and make this
20 available to consumers when they're purchasing.

21 I can confidently say that all of my
22 customers have no idea whether or not their devices
23 are repairable. So many times I've heard, had I known
24 I couldn't fix it, I would not have purchased it. My
25 customers want to be able to repair to their devices.

1 They want to be as environmentally friendly as
2 possible. And that's why I'm here today, to give them
3 a voice.

4 We need to wake up and see what corporations
5 are doing. You know, they know we're so reliant on
6 these devices and, at the same time, they're making
7 them less repairable and not any better quality. It's
8 their interests they're serving not ours. So please
9 let's work together to find a solution that can work
10 to address these issues for today's generation.

11 Thank you.

12 (Applause.)

13 MS. WACK: Next is George Borlase.

14 MR. BORLASE: Good afternoon, everybody. I
15 was born in New York City, and I'm a big basketball
16 fan. So I was really excited to be here to talk about
17 fixing the Knicks. But then I reread the email.
18 And they didn't sign Kevin Durant anyway. So it
19 probably made it a harder discussion when they didn't
20 sign him.

21 But I do want to take a second and thank the
22 FTC for putting on the workshop. That is a great idea
23 for a Knicks workshop though. I mean, you pay that
24 ticket price for Madison Square Garden, you should be
25 able to see a quality team, right? No comment on the

1 local team.

2 But I do want to thank the FTC for putting
3 on this workshop and tackling a terribly nuanced
4 topic. It's really complicated. And I especially
5 appreciate the FTC's call for empirical data. Coming
6 from the Consumer Product Safety Commission where we
7 spend a lot of effort collecting consumer injury data,
8 I appreciate your call for the data.

9 Also, as an engineer, I am supremely
10 overconfident in my own ability to repair anything.
11 So I really appreciate your comments because I would
12 be the exact customer who would come in and say,
13 somebody tried to fix this first, so I need you to do
14 it for me, please.

15 My background though is safety and risk
16 management. And so my comments today are really going
17 to be based on that lens of consumer product safety.
18 And I'm just going to start by putting out really
19 there a couple of principles regarding repair, as
20 we're talking about this today.

21 I think, first, regardless of who is doing
22 the repair, do no harm or do no additional harm.
23 Something's broken so it needs repair. But you don't
24 want a repair that can make the product less safe than
25 it was, especially when it was broken.

1 The second principle I would put out there
2 is any replacement parts or software should at least
3 meet the same safety standards or the design
4 requirements as the original part. Look, everything
5 is in a complicated system nowadays. But what we're
6 trying not to do is introduce any new hazards from
7 fire, shock, mechanical, et cetera, with a part that
8 doesn't meet the same requirements as the original.
9 For all these parts, as complicated as they are, there
10 is a design process that goes through in the
11 development of them. Decisions are made on the design
12 to try and balance safety and a number of other
13 things. And what you're trying not to do when you're
14 putting a replacement part in is really kind of create
15 a more hazardous situation than you might have had
16 before in the original.

17 I especially appreciate, Theresa, the
18 comments on batteries. That is one area where you
19 definitely see, one, a number of counterfeit
20 batteries. Every device now is going to lithium-ion
21 batteries. Apple TV used to have two AA batteries in
22 the controller. Now, it's a rechargeable lithium-ion
23 battery. People want more power and a smaller
24 footprint for all their devices. It's going that way.
25 But I appreciated your comments about batteries

1 because from a consumer product safety perspective,
2 when we see fires, et cetera, a lot of them are
3 battery-related and a lot of them do become related to
4 either a replacement battery or a battery that may not
5 have been certified along with the original.

6 With these two principles in mind, I just
7 want to take a minute to highlight why, in my view,
8 balancing consumer and product safety and the right to
9 repair is getting more difficult. And I think the
10 Commissioner kind of talked about it before. We are
11 definitely in the fourth industrial age, often called
12 the exponential age.

13 Consumer expectations of their products are
14 increasing rapidly, as is the complexity of the
15 products that we're seeing. Industries used to really
16 be hardware industries. They would build dumb metal
17 boxes, for lack of a better way to describe the old
18 washers and dryers, right? But they're no longer that
19 way.

20 Hardware companies are really becoming
21 software companies. You see it in automotive; you see
22 it in appliances. And a lot of that is due to the
23 real price drop in everything from sensors to control
24 systems to programmable circuit boards, all of which
25 really lowers the cost barrier to putting things into

1 products.

2 I remember when fidget spinners came out a
3 couple of years ago. Everybody remembers those.
4 There were fidget spinners, and there was one that had
5 a little speaker, a Bluetooth shield, and a tiny
6 lithium-polymer battery so you could play music
7 through this terrible little speaker in your fidget
8 spinner. Now, why did they do that? It's kind of
9 like climbing Everest. Because it was there, right?
10 But the ability to, in a fidget spinner, put in a
11 Bluetooth shield, a lithium polymer battery, and a
12 circuit board for it was really something.

13 Now, admittedly, there wasn't room for the
14 battery circuitry that would protect the battery from
15 overheating when you charged it. So there were some
16 shortcuts taken. But my point being that the
17 miniaturization of all these sensors and really the
18 drop in cost for all this has really reduced the
19 barriers to putting a lot of these additional
20 technologies into devices that never really had them
21 before.

22 So what does that mean? I mean, that really
23 means the design and the manufacture of all this stuff
24 is more complicated. The companies are balancing the
25 costs -- and I think this is what we're hearing up

1 here -- that companies are balancing the costs of the
2 material availability, complexity, and even more, the
3 sustainability. Although, clearly I think there's a
4 lot more discussion to be had on sustainability and
5 lifecycle management for this.

6 I did want to kind of put together maybe a
7 proposition of a framework of questions. I usually
8 like to do it that way. I like to ask questions and
9 kind of run things through a framework of questions.
10 But as we're looking at the difficulties in fixing
11 anything -- you know, I was thinking about the right
12 to repair. And I always go back to my favorite answer
13 from my favorite lawyer which is, it depends. So in
14 trying to answer the "it depends," as the answer to
15 the question of who should repair what and when, I
16 would say, here's three questions to really maybe
17 create a rubric of asking who can repair what and
18 when.

19 The first question is, what is it that's
20 broken and how is it broken; in other words, the
21 complexity of the product and what's the complexity of
22 the repair for the product? I think Theresa probably
23 could talk to some fixes being easier than others on
24 the phones, as an example, or for the networking
25 equipment, also. So that's the first question.

1 The second question is, with what? With
2 what are you going to effect the repair? And this is
3 where I go back to the certified parts and the fact --
4 you know, bringing those principles in. That you are
5 looking for a product that isn't going to create a
6 problem that wasn't there before. That's the second
7 question.

8 And then the third question I would ask is,
9 by who? I mentioned being an overconfident engineer.
10 But when you say the public has the right, what is
11 your mental model of who can fix this? You know, they
12 have certified service technicians that go to school
13 for six to eight weeks to kind of learn how to repair
14 some of these things. Probably not going to be able
15 to do it for everybody.

16 When you're looking at a member of the
17 public to repair something, I would say, what is your
18 mental model? You know, I always used to go back to,
19 on the safety side, a grandmother in Kansas. Is that
20 something they could fix? Is that something, right?
21 Because that's the exact opposite of me. But you have
22 to have a good mental model of who is trying to effect
23 the repair and what really are their abilities and
24 skills enabled to do it.

25 So I just put those three questions out

1 there as maybe a framework of questions to ask as you
2 go through the right to repair. So with that, I just
3 want to say thank you again for the opportunity to be
4 on the panel. And thank you again to the FTC for
5 putting this together today.

6 (Applause.)

7 MS. WACK: Next, we'll hear from Nathan
8 Proctor.

9 MR. PROCTOR: Thank you Claire, FTC. I'm
10 excited to be here.

11 My name is Nathan Proctor. I'm the national
12 campaign director with the US Public Interest Research
13 Group's Right to Repair Campaign. We're a consumer
14 advocacy organization that tries to put the public
15 first. And we are concerned with the consumer impacts
16 of restrictions around repair.

17 You know, I love "Star Trek," and they
18 literally have six different devices on the Enterprise
19 to do what one smartphone does. They could not
20 imagine technology that powerful or useful. And as
21 Theresa said, Americans dispose of 416,000 smartphones
22 every day. We buy \$1,000 supercomputers --
23 unimaginable technology to even people 15 years ago --
24 and then we're, what, recycling them for commodity
25 value. It's an absurd -- something is wrong here.

1 And the truth is it's bigger than just smartphones,
2 right?

3 Our relationship with electronics is kind of
4 changing direction. And I think that there are some
5 serious things that if we don't address we're going to
6 lose fundamentally the democratic sense of maintenance
7 and ownership of technology in our lives.

8 So when I talk about repair restrictions,
9 I'm going to talk about kind of three categories. So
10 first would be devices that are not intended to be
11 repaired. They were engineered without repair as a
12 consideration whatsoever. That's a choice that
13 manufacturers make. They should be upfront with
14 that choice, but that just exists in the world. Two
15 are warranty repairs and three are post-warranty
16 repairs.

17 So just talking about warranty repairs, I
18 think for most people there's issues around warranty
19 repairs. So for example, inconvenience, people do not
20 have access to timely repairs. If your LG fridge goes
21 out and LG needs to send a service technician and they
22 just don't have enough and you're two weeks without a
23 fridge, two weeks is a long time to be without a
24 fridge. You can try that if you want, see what that's
25 like.

1 But, largely, these things get fixed in ways
2 that's satisfactory to consumers. But one of the
3 things that we found is these warranties are
4 conditioned to the manufacturer being the only person
5 allowed to touch the device. And this is something
6 that the FTC took action on in April of last year when
7 they sent warning letters to six companies.

8 And I did a survey of 50 appliance
9 manufacturers where I read their warranties and then I
10 called their customer service lines or went through
11 the email or chat features they had on their customer
12 service and asked them, if a repair was done to this
13 device by an independent, even if it met or exceeded
14 your own repair standards, would my warranty be
15 voided? And at the end of that, I had five companies
16 that would honor the warranty in spite of independent
17 repair and 45 that would inform the customer that no,
18 they would lose their warranty.

19 And I think that that's an issue, not only
20 because Magnuson-Moss kind of speaks to that in a way
21 that would not encourage it, but also it communicates
22 something to the consumer. The consumer is told the
23 manufacturer controls this device, you do not control
24 this device. If you try to take any kind of control
25 of the device, you make your own decisions about the

1 device, you've broken your relationship with the
2 manufacturer and they don't owe you anything anymore.
3 And I think that that scares people off.

4 And I don't know how many times -- you know,
5 Theresa said, people come in and they don't want to
6 get something fixed because they're worried about
7 their relationship with the manufacturer, regardless
8 of their rights as consumers.

9 I recently had somebody send me a photo from
10 an AppleCare response where it said, we're denying
11 your AppleCare service because there were unauthorized
12 modifications to the device and that caused the
13 problems that you have. Now, that's carefully worded.
14 I'm sure lawyers are involved because they're probably
15 allowed to deny service to somebody who had
16 unauthorized modifications in such a way that damaged
17 the phone. Like, it's not Apple's fault if I try to
18 soup-up my phone and break it.

19 But the truth is, the person just had their
20 screen fixed and then an independent technician opens
21 the phone up, immediately finds the problem --
22 something that they deal with all the time -- fixes
23 it, completely unrelated to the repaired screen. But
24 if you're a consumer, all you know is if I take this
25 somewhere else, Apple's not going to help me anymore.

1 And that's not okay. This is a problem that needs to
2 be addressed.

3 And so -- oh, I have this little thing.

4 UNIDENTIFIED FEMALE: Yeah, push the green
5 button.

6 MR. PROCTOR: Push the green button.

7 So why is it so hard to fix our stuff? And
8 I'm glad that George brought up these parts. The
9 spare parts we use should be to the exact
10 specifications of the engineers. I agree. Please
11 sell us OEM spare parts so that we can fix things to
12 the exact specifications or give us the schematics so
13 that we know exactly how the thing is intended to
14 work.

15 No one is out here trying to repair things
16 in such a way that violates the engineering standards
17 that were made. We just want to do the right job and
18 we don't want to have to enter in a monopoly
19 environment to pay through the nose to get it done.

20 Some of the other restrictions that we see,
21 you know, diagnostic software, firmware we talked
22 about, proprietary. I want to click through a couple
23 of things. So this is the market share for iPhones in
24 2017. You see that the last four iPhones,
25 60-something percent of the market. So actually the

1 crowdsourced information for how to fix an iPhone is
2 pretty good. And, in fact, we have reason to believe
3 that some of the crowdsourced resources are being used
4 to train Apple's own technicians thanks to some leaked
5 stuff.

6 But here's the next problem. These are the
7 Android phones on the market. So imagine you're
8 Theresa and someone brings in that tiny little green
9 one, brings that to you and says, I need this fixed.
10 You don't have the parts, you don't have the
11 schematic, you don't have the diagnostic software.
12 How are you going to figure out how to fix that phone
13 in a way that's profitable for your small business?
14 You're just going to tell the person, I don't have
15 enough time to troubleshoot this for you, you know.

16 Here's another -- these are all the screw
17 heads. This is a sampling of screw heads out there in
18 the wild. You know, some of these make sense. I like
19 torque bits, they're really effective. You know, I
20 think Phillips are overused. But some of these are
21 just essentially like -- just purely to be a barrier
22 for repair. They're just silly.

23 This is Willie Cade standing in front of a
24 John Deere tractor. John Deere tractors are notorious
25 because they have these extensive software locks. If

1 something goes wrong on that device, you need the John
2 Deere service advisor software to come and let you get
3 it running again, even if the device is completely
4 fixed.

5 And this photo was in an article in Crain's
6 Chicago Business. They found that the profit margin
7 for repair was five times higher than the sale of new
8 equipment. And I think an easy explanation for that
9 discrepancy would be the repair is monopolized, the
10 sale is competitive. And I think repair should be
11 competitive. And that's what I've got to say about
12 that.

13 (Applause.)

14 MS. WACK: Our last presentation will be by
15 Walter Alcorn.

16 MR. ALCORN: All right, thank you very much.
17 I appreciate the opportunity to be here today and
18 address this topic.

19 All right, good. So my name is Walter
20 Alcorn. As mentioned earlier, I'm the vice president
21 for environmental affairs and industry sustainability
22 at the Consumer Technology Association. I'll just
23 disclose right up front, my focus for the past two
24 decades has been on electronics recycling issues for
25 our industry. So I come at this with a little bit of

1 knowledge from that point of view. But some of the
2 other interesting twists on this are relatively new
3 that I've picked up just in the last year or two.

4 I want to point out, for those of you that
5 are not aware of the Consumer Technology Association,
6 we're probably best known for the Consumer Electronics
7 Show, CES, which is -- occurs every January in Las
8 Vegas. I know a number of you have been to CES. I've
9 seen a number of you at CES and encourage you to
10 attend it. It really is the place where people go and
11 see new technologies and see what is coming to the
12 market, a lot of which does not pan out. So that is
13 us.

14 We also focus primarily on consumer
15 technology. So my remarks today, and during the Q&A,
16 will be focusing on consumer technology, consumer
17 electronics, not on the B2B side.

18 So I would just point out -- it's
19 interesting. This whole discussion, I think,
20 underscores the evolution in the notion of ownership
21 that we're seeing in the economy right now. It used
22 to be before software was embedded in these devices,
23 ownership was very cut and dried. You owned it or you
24 didn't. But now with software, that has become a
25 little bit more complicated.

1 And in another twist -- and I think this is
2 true of a lot of the folks in this room -- now we have
3 services. So the combination of hardware, of
4 software, and services is an interesting mix. And I
5 think it does put some of these topics or issues into
6 the gray area.

7 So I'm going to be quickly going over five
8 different items. Let me just underscore one of the
9 things that George said in his opening in terms of
10 repair -- and I would say, in this case, I'm talking
11 about the manufacturer role -- "it depends."

12 So there are different products that have
13 different histories, and I think we need to
14 acknowledge that from the get-go. It's very hard to
15 come at this issue and come up with a blanket ideology
16 that really applies to all products in the industry.
17 So I think it's important that we look at each one at
18 a time.

19 For example, these days you can go into a
20 gas station and buy a cable to basically attach your
21 iPhone to the car. You paid \$5 for that. I don't
22 think anybody is expecting the manufacturer to provide
23 diagnostics to the consumer so they can fix the cable.
24 You're lucky if it works, but you know that going in.
25 That's the very low end of the market.

1 It changes as you go up in the market. And,
2 frankly, some of the biggest fights we've seen have
3 been at the top of the market because that's where
4 there's demand and that's where the market is. And I
5 think it's important for us all just to acknowledge
6 that.

7 Now something that really does affect the
8 way manufacturers look at this issue is a concept
9 called extended producer responsibility. Usually we
10 hear that term in the context of the area that I know
11 best, electronics recycling. But, in this case, it
12 applies across different topics.

13 The basic idea is this: The day is long
14 gone when manufacturers' responsibility stopped when
15 they sold the product. These days, manufacturers
16 still have responsibility. They're still expected to
17 have responsibility long after their product has been
18 transferred to somebody else.

19 So for example, somebody earlier mentioned
20 battery safety -- and I know this is going to come up
21 throughout the day in terms of having batteries be
22 removed -- as an important thing. About three years
23 ago, I was in the office of OSHA and, frankly, I heard
24 OSHA staff complaining about the access that consumers
25 and others have to lithium-ion batteries. There are

1 lots of issues, I would say, competing priorities, as
2 was said in the opening, that I think we have to
3 acknowledge.

4 On recycling, we do have 24 states now that
5 mandate some form of responsibility for manufacturers
6 to recycle old electronics. And now we're seeing, as
7 well, cybersecurity privacy protection. And I'll get
8 a little bit more into that.

9 The last bullet there points out that we are
10 seeing -- and a lot of us have been involved in
11 legislation at the state level. None of those bills
12 have passed, but they're still definitely a point of
13 discussion. In effect, what those bills do is -- or
14 at least they have the potential to do -- is create a
15 new point of manufacture, but without transferring the
16 responsibility that manufacturers assume when they
17 make a product.

18 So to get very specific to the FTC, the FTC
19 has issued guidance for manufacturers that make it
20 clear that they have a responsibility during the
21 lifecycle -- during the use-phase of their product
22 that could be jeopardized, in my view, depending on
23 what kind of legislation or government mandate that
24 might be enacted.

25 So I would just point to the second bullet

1 there, which is -- there's actually -- in this FTC
2 document, the Internet of Things and in Start With
3 Security, they make a point of telling manufacturers
4 to be very careful about the service providers you
5 hire, to make sure your service providers implement
6 reasonable security measures. Well, if manufacturers
7 are required to provide all the software and the
8 ability to repair, to change products, well, that
9 pretty much goes out the window. I'm not sure how you
10 reconcile these. This, again, is a rather complicated
11 area that I think needs to be explored more.

12 And then I would just point out, we do have
13 benefits of existing authorized repair networks. One
14 of the things we're doing at the Consumer Technology
15 Association, we're putting together an online system
16 for consumers to find authorized repair services for
17 mobile devices. We're planning on rolling that out at
18 the end of the year.

19 And as part of that process, we've been
20 getting lists of authorized repair providers by
21 different manufacturers. That list is now in the
22 thousands of facilities. There is competition out
23 there. It's also something we would like to see more
24 authorized repair facilities come online in order to
25 have a more robust system.

1 But setting that aside, we do have things
2 that authorized repair does provide, including the
3 training that's been mentioned, quality control. We
4 actually have -- some of the FTC issues are addressed
5 through authorized repair networks, background checks.

6 And I would also point out, if we go down
7 this road and the Government, at one level or another,
8 requires that this information be available so that
9 anybody can do repairs, we're going to change things
10 in the secondary market for used devices. Because,
11 right now, when you acquire, say, a used iPhone or a
12 used Samsung device, you generally expect that that
13 phone has only been messed with by those manufacturers
14 or somebody authorized by those manufacturers.

15 That's not true with cars, at least in my
16 day. Typically, if you get a used car, you expect
17 somebody to have gotten in there and repaired it or
18 maybe there are aftermarket electronics in there.
19 That would fundamentally change the view of used
20 devices. So there are consequences that I think we
21 should keep in mind.

22 And then just to run through these real
23 quick, some of the issues that the FTC I know cares
24 about are potentially at risk from some of the
25 solutions that have been put out legislatively.

1 And you can read through some of those, particularly
2 the idea of remote access. Basically, the ability for
3 a manufacturer to control what happens to data
4 generated from the use of a device, pretty much goes
5 out the window if you open up the device as has been
6 proposed.

7 So that's it. I've gone over my time, and I
8 appreciate it. Thanks for the opportunity to speak
9 today.

10 (Applause.)

11 MS. WACK: Thank you. My first question is
12 for you, Theresa. As someone who makes a living
13 fixing things, what kind of issues are you
14 encountering when you're trying to repair devices?
15 You mentioned a sealed phone. What other things are
16 you encountering?

17 MS. MCDONOUGH: Definitely access to
18 reliable parts. I would say one of our most popular
19 repairs are iPhones. And it's funny because in the
20 rest of the world Samsung and Android kind of rule.
21 But here in the US, we really love our iPhones. And
22 sourcing these parts can be frustrating. Luckily,
23 I've been doing this long enough that I now have a
24 really reliable aftermarket manufacturer that I get my
25 parts from.

1 But when you're first starting, or any small
2 businesses is first starting, you can get really, what
3 I call, shoddy parts. And it's frustrating. You can
4 usually get your money back from this manufacturer.
5 But it's more frustrating for the customer because
6 they kind of lose their confidence in you. They get a
7 part on their phone and say their phone starts phantom
8 typing and calls their mom at 2:00 in the morning.
9 That's a real issue. These phones, if you don't have
10 reliable parts, they can start doing funny things.
11 And it's not necessarily something that the technician
12 did. It could simply be just from not having access
13 to good parts. So I would say that's probably one of
14 my -- at first was one of my biggest hurdles.

15 Luckily, now, I really try to source -- when
16 I'm doing computers, for example, I really try to
17 source OEM parts from devices that are being recycled.
18 So we pull them off of actual Apple computers that
19 might have been damaged from something happening. So
20 we try to recycle these parts.

21 But every single time a new device comes
22 out, you know, you kind of panic and you think, okay,
23 what are they going to do to us this time that we
24 can't fix. I really think it's not doing our
25 customers any service to not allow them to upgrade

1 even the hard drives in their computers. That's
2 something that you've been able to do almost since the
3 existence of personal computers. And now everything's
4 soldered in.

5 So it's like when you go to the store, you
6 have to make that decision of what you want then and
7 there because there is no changing your mind. So
8 that's probably the main thing.

9 MS. WACK: Thank you.

10 George, during your time at CPSC, the agency
11 issued a letter stating that uncertified parts were
12 more dangerous than those that were certified. Does
13 that mean that the parts that manufacturers use are
14 the only safe parts? Are only manufacturer parts
15 certified? What can you elaborate on?

16 MR. BORLASE: Sure. I'll go general. What
17 we were doing, when I was at CPSC then, was trying to
18 address what I talked about in my points here, too,
19 which was you're trying not to create a problem when
20 there wasn't necessarily a problem before or something
21 was being managed by the way that part was designed
22 and by putting a different part in you create a
23 problem. I mean, kind of like what Theresa was
24 describing as a specific example.

25 So in terms of something that's certified

1 versus uncertified, I will say that we stopped short
2 of saying it must bear a specific mark. But certainly
3 the point was that if you have a replacement part or
4 something that has been tested to requirements and you
5 know it meets a standard, that's going to be better.

6 That really came up on the hoverboards. If
7 you remember with all the hoverboard fires, that came
8 up. Really a fascinating example of manufacturing in
9 the 21st century. Hoverboard design suddenly rolled
10 out and it was like the Wild West in having those
11 built. We're buying hoverboards, and every time we
12 opened one at CPSC, different circuit -- very similar
13 circuit board design, but some were blue and some were
14 green. They were just different enough.

15 The batteries were all the same shape. They
16 were 2 by 10, meaning, like, 2 and parallel 10 in
17 series. So there were 20 batteries in each, but every
18 single battery pack was different. And you just
19 pictured that literally they were going on their
20 favorite bulk Chinese Amazon supply -- or supply site,
21 not Amazon, sorry -- supply site buying things in
22 packs of 1,000 and just putting them all together.

23 Sorry, long story to really just point out
24 that as we were looking at hoverboards, specifically
25 trying to make sure that the battery packs which were

1 causing the fires, which were the hazard that we were
2 really worried about, fires, at CPSC at the time,
3 making sure that they were being tested to a standard.

4 MS. WACK: Nathan, I'm sure we all remember
5 a couple of years ago when cell phone batteries were
6 exploding on airplanes and now we're hearing about it
7 with vaping devices and issues with hoverboards.
8 These things can really hurt people. And not everyone
9 will do their due diligence to make sure they are
10 making repairs safely, to the extent that they can be
11 safe.

12 Putting aside repair professionals, do you
13 support consumers being allowed to fix anything and
14 everything?

15 MR. PROCTOR: So it's an interesting
16 question. And George kind of raised this. Like, you
17 know, who should do it? And then there's another
18 question which is, whose decision is it to make what
19 people do? And there are a lot of different options
20 for that.

21 The option I do not accept is the
22 manufacturer decides, after selling something to
23 somebody, what they can do with it. If the FTC or the
24 Consumer Product Safety Commission were to come in and
25 say, these are particular devices that have some kind

1 of safety things and then there is a licensing
2 program, which is hopefully -- I mean, we talked a
3 little bit about authorized service.

4 I mean, if you say the only parts that are
5 good are the manufacturer parts and then you refuse to
6 sell the manufacturer parts and then you ask the
7 Consumer Product Safety Commission to ban the use of
8 any non-OEM parts, you have just required the
9 Government to set up a monopoly for you. And that's a
10 little bit unacceptable to me.

11 So who should decide? I think that that's a
12 good question, but there is other elements to this,
13 too, which is how it is accountable to the public.
14 Who gets to decide what products are fixed in what
15 way? That balances ownership, a free market for
16 repair, and safety. Those are all things which we
17 should care about.

18 But the solution being let's monopolize the
19 repair process because this benevolent monopoly will
20 protect consumers, yeah, I'm not a big fan of that
21 particular line of reasoning.

22 MS. WACK: We heard from both Jennifer and
23 Theresa about how these repair restrictions have
24 affected their small businesses. Walter, 80 percent
25 of the members of your organization, CTA, are small

1 businesses or startups. What impact would opening up
2 this repair ecosystem and requiring devices to be
3 repairable have on those organizations' ability to
4 innovate and their bottom lines?

5 MR. ALCORN: Yeah, I think it varies.
6 Honestly, for manufacturers, I think it would have a
7 pretty significant impact. Most of CTA's members are
8 -- actually, the majority of them are not
9 manufacturers. They're either installers of consumer
10 electronics devices or retailers. We have also
11 technology-based companies. We also have ridesharing
12 companies. We have lots of different companies that
13 are focused on consumer technology, either as a
14 technology provider or as a manufacturer of
15 technology.

16 So I think it's hard to generalize how the
17 impact would be for CTA overall. But I would point to
18 the companies that show up at CES, which are -- at
19 least the ones that exhibit are overwhelmingly
20 manufacturers. And this is one of the few issues that
21 I've heard from many, many, many manufacturers about
22 in terms of concern that some of these state bills
23 would be enacted. I have heard concerns that range
24 from everything that's more practical, how the heck
25 would I provide all this information to everybody who

1 asks; I've heard concerns about long term -- about
2 liability. Who's responsible when an unauthorized
3 repair provider does do something wrong based on
4 technology or based on software that was provided by
5 the manufacturer that enabled them to get in there and
6 do the wrong thing?

7 I think it would be a big change that would
8 be instigated, as been proposed, by the Government.
9 And I think that just because we're talking about a
10 new government mandate, it's something that we should
11 all pause a little bit and make sure that we've
12 thought through the consequences, that we've worked
13 out these details.

14 I don't even think we've really gotten very
15 far in that conversation at this point. So I have a
16 hard time coming to a bottom line, but there would
17 definitely be an impact.

18 MS. WACK: Walter, you mentioned
19 unauthorized individuals getting in and making maybe
20 shoddy repairs. Does CTA have any empirical data that
21 shows that authorized repair providers perform higher
22 quality or more secure repairs than owners or
23 independent repair providers? Is that something
24 that's been studied?

25 MR. ALCORN: I'm not aware that anybody has

1 studied that. I would presume that given the fact
2 that these manufacturers, who put the most time into
3 authorizing repair providers -- these happen to be
4 some of the brands that are the most valuable in the
5 world -- they want to make sure that whoever is
6 working on their behalf is doing a good job.

7 Whether that actually happens, I don't have
8 any data on that. I sure hope it does. There are
9 probably a lot of shareholders out there that hope so,
10 too. But that is one thing that -- that's probably
11 yet another thing that hasn't yet been studied.

12 MS. WACK: Theresa, many third-party
13 repairers will just become certified by an OEM. Why
14 isn't that sufficient? Are you still limited in your
15 ability to conduct repairs even if you're certified?

16 MS. MCDONOUGH: Well, I'm not certified by
17 any OEM. The reason being is I don't find it
18 necessary. I want to work on all devices and not just
19 be considered, like, an Apple repair specialist.
20 In our state, there is only one Apple-certified
21 retailer and they don't work on phones and they don't
22 work on tablets. And there is no Apple store. So to
23 me, I really don't see a benefit in picking one over
24 the other.

25 And even having that training doesn't

1 necessarily -- we were talking about this earlier --
2 mean that you'll get certified. You can spend \$2,000
3 for their training, which I bet I already know most of
4 it just because I do it every day. You know, maybe
5 for somebody starting off, they might think that it's
6 a benefit. But I've read some of the requirements
7 that these companies have. You have to have a line of
8 credit. You have to have a certain amount of
9 employees. Like the list is -- the bar is very high.
10 And for a small business, when you live in a state of
11 600,000 people, I just don't see it as beneficial to
12 spend that sort of money on a certification that I
13 already think I have.

14 MS. WACK: Jennifer, for you, you're an IT
15 professional, you're engaged in technical and
16 specialized work. Does that make a difference as to
17 whether you should have access to information on
18 repairing certain kinds of devices? Like should there
19 be a litmus test for --

20 MS. LARSON: For my technicians?

21 MS. WACK: Well, for your technicians, yes.
22 But if you are dealing with a highly technical device,
23 is that something where there should --

24 MS. LARSON: We deal with very highly
25 technical devices and we aren't authorized. But I

1 would say, any good business owner who wants to keep
2 their brand and reputation is going to make sure they
3 have technicians that can repair appropriately. My
4 technicians go to training like certified technicians.
5 They do certifications, but they aren't certified
6 through IBM, per se.

7 But we work on high-level EMC, Hitachi all
8 the time. And in 20 years, if I didn't have good
9 people, I wouldn't still be around. So I don't know
10 if that answered your question specifically.

11 MS. WACK: Well, sort of. My question is,
12 also, when you're dealing with these highly
13 sophisticated -- you're dealing with a server, should
14 anyone be allowed to get in there or do you think that
15 the companies should be able to say you need to have a
16 certification?

17 MS. LARSON: Oh, no. I'm with Nathan. If
18 you buy it, you own it. You should be able to do
19 whatever you want with it. I own the equipment. It's
20 my inventory. I can say, you know, to whatever
21 technicians I want to work on it. But, absolutely, it
22 should be a free market, it should be my product, and
23 nobody should be telling me what I'm going to do with
24 it.

25 MS. WACK: Nathan, one of the points in your

1 PowerPoint was that manufacturers design products
2 without considering repairability. But what leads you
3 to believe that repairability is something consumers
4 care about?

5 MR. PROCTOR: Yeah, that's a good question.
6 I want to quickly follow up on some of this
7 "authorized" conversation because I feel like we're
8 misconstruing the point a little bit, which is the
9 authorized process is not a technical training.

10 MS. LARSON: Right.

11 MR. PROCTOR: To construe it as that would
12 be to fundamentally misrepresent it.

13 MS. LARSON: That's good.

14 MS. MCDONOUGH: Right.

15 MR. PROCTOR: The authorized process is a
16 business relationship between you and the OEM. So the
17 question is not, do you want training on how to fix
18 these things. The question is, do you want to enter
19 into a relationship with this business, which has a
20 whole set of contractual obligations. So it's much
21 bigger than the training. I just wanted to make that
22 point.

23 MS. LARSON: Right.

24 MS. MCDONOUGH: Yeah, yes.

25 MR. PROCTOR: I would say that, yes,

1 consumers lack information at the point of purchase
2 about repairability. And so it's difficult to look at
3 consumer behavior at the checkout line and say, okay,
4 these people -- you're making all these different
5 determinations about what you want when you buy
6 something. And then you find out much later that the
7 repairability is an issue.

8 And then you come to somebody like your
9 friendly consumer advocate and you write an angry
10 email saying somebody should stand up and fight these
11 guys because -- you know, Paul Roberts was just
12 telling me he bought a \$70 Logitech mouse and the
13 whole thing is epoxied together and the battery went
14 after 18 months. And he didn't know that the whole
15 thing was -- how could you know if you were at the
16 checkout line? This looks like a high-quality piece
17 of electronics. It's epoxied together; it's
18 essentially a disposable product. Luckily, he's got
19 some friends who know a lot about fixing stuff so he's
20 going to get some advanced epoxy-undoing techniques.
21 But, you know, this is a problem.

22 You know, Consumer Reports had a series of
23 Dyson vacuums which they reviewed really highly on
24 their initial pass, and then they had to reduce the
25 Consumer Reports ranking after they got, you know, a

1 couple years out when that found that consumers
2 started reporting in mass numbers that these devices
3 break down and are unfixable.

4 So I think the problem is the point of sale
5 is just -- consumers don't have enough information and
6 then we're trying to like -- I mean, people are trying
7 to crowdsource that information, but that's a problem
8 now. You know, you can't say the consumers don't want
9 it because I hear those complaints all the time.

10 MS. LARSON: Yeah.

11 MS. MCDONOUGH: Yeah, they do want it.

12 MS. WACK: Walter, manufacturers assert that
13 many of these methods, including the epoxying of parts
14 together, that are often discussed as repair
15 restrictions are, in fact, just design decisions that
16 are necessary to meet consumer demands for smaller,
17 thinner, and more secure products. What effect would
18 right to repair have on those sorts of decisions?

19 MR. ALCORN: Well, thank you for asking that
20 question. I actually was hoping to get in on the
21 consumer demand issue. I think if we're talking about
22 a requirement that -- well, I think it depends in
23 large part on what exactly would be implemented. I
24 think it's hard to generalize because there are a
25 number of different components that have been put on

1 the table in terms of legislative or regulatory fixes.

2 I think, in general, it's safe to say that
3 it could have a negative impact on innovation, and
4 here's why. We've heard problems of batteries being
5 glued in. My understanding, and I've talked to a
6 number of manufacturers about this issue, we're seeing
7 batteries glued in for a couple of reasons.

8 One, there is the issue and the concern
9 about the wrong battery being put in upon replacement,
10 which creates safety problems. Thermal events, I
11 think as some people call them. But then the other
12 issue, which is a significant issue, is consumer
13 demand. If you actually have a battery that's fully
14 integrated, say, into a smartphone, you can put a much
15 thinner battery in there, which means you get a much
16 thinner phone. That's what consumers are buying.

17 And, now, it's moving to other products.
18 We're starting to see this. I'm not saying this is
19 good for the repair industry, but this is being driven
20 by consumer demand for slimmer, sleeker products that
21 have the functionality. I mean, I think we are seeing
22 advances in some ways and then challenges being
23 created on the other side. So consumer demand is
24 something that these manufacturers spend an awful lot
25 of time and money trying to figure out and they

1 compete fiercely for that.

2 I wish there were more demand from consumers
3 for environmentally related attributes. In this
4 country, we just have not seen that harnessed by
5 anybody. And if there's entrepreneurs in this room
6 that can figure out a way to do it, I'm all for you.

7 MS. WACK: Speaking to the question of
8 environmental effects, Theresa, you said that over
9 400,000 smartphones a day are being recycled. Where
10 does that come from? Where does that number come
11 from? And does that number include phones placed on
12 the secondary market?

13 MS. MCDONOUGH: Yeah, I think that was
14 actually --

15 MR. PROCTOR: It's an EPA statistic.

16 MS. MCDONOUGH: Yes, I think I got that one
17 straight from Nathan on NPR.

18 MS. WACK: Walter?

19 MR. ALCORN: Yeah, that was an EPA statistic
20 in one report about 15 years ago. You can't even find
21 it on the EPA website. You have to go to their
22 archives in order to find that number. And the reason
23 that you can't find it is it's not a good number.
24 400,000 phones a day -- if you did the sloppy math and
25 you assume that every phone that went out of service

1 was thrown away, then, yeah, that might be a pretty
2 good number. But that's just not the case.

3 At CTA, every couple of years we do a
4 consumer recycling and reuse survey. And one of the
5 things that we ask is, what do you, as a consumer, do
6 with your old device whenever you're done with it?
7 Well, the overwhelming number of consumers that
8 responded to our survey say that they donate them to
9 friends and family. And then beyond that, you recycle
10 them. There are other things that people do. You get
11 down to "throw it in the trash," for smartphones in
12 particular, 1 percent of all consumers that got rid of
13 a phone last year, which is about a quarter of all
14 consumers, said that they threw it away. That is a
15 heck of a lot lower than 400,000.

16 I've seen that number around. It drives me
17 nuts. This is actually the type of thing that I go to
18 state legislatures and talk about. Because there may
19 be reasons to have repair legislation, this is not one
20 of them. Don't buy into that one.

21 MS. WACK: Nathan, it looks like you had
22 something to say?

23 MR. PROCTOR: Yeah, I have a couple of
24 points to make on that. So the UN World Economic
25 Forum said in January that electronic waste is the

1 fastest-growing waste stream in the world. We know
2 that electronic waste is a huge problem. And it's
3 true that the 416,000 cell phones which enter the
4 waste stream every day are not literally going into
5 dumpsters. But let's talk about cell phone recycling
6 because this is the solution manufacturers say, we
7 recycle these things. But how much of the commodity
8 value of a cell phone is recouped in that process?
9 And how much is that worth versus how much is a used
10 cell phone or a repaired cell phone worth? We're
11 talking about an enormous drop in value.

12 The iPhone 7s, when you drop them, the audio
13 CODEC chip sometimes pops off. It creates this thing
14 called "boot-looping." I'm sure that Theresa's seen
15 this many times in her store. This chip is tiny. It
16 weighs a fraction of a gram. If you are under
17 AppleCare and you take your iPhone 7 with a
18 boot-looping issue to Apple, they will give you a
19 refurbished iPhone. And maybe that's good. But if
20 you take it to an independent technician and they
21 replace a tiny fraction of a gram component and
22 restore 99.9 percent of the material value of that
23 phone, that's like recycling at 99 percent efficiency.
24 The best electronics recyclers in the world are
25 nowhere near 90 percent. In fact, Apple brags -- and

1 they have invested incredibly in their recycling --
2 it's 40 percent material recovery.

3 So maybe 25 percent of the cell phones are
4 effectively recycled and 40 percent of those materials
5 are recouped. Ecologically, repair is just, in order
6 of magnitude, more important for the environment than
7 recycling.

8 MS. LARSON: It's not just cell phones.
9 I'll make that point.

10 MS. MCDONOUGH: Yes.

11 MS. LARSON: My servers and the chassis that
12 are going into the scrap are huge and enormous and
13 it's only getting worse, all of our switches that
14 can't be resold. I mean, I can't even fathom how much
15 that's grown. I should probably try to see if there
16 are statistics on it.

17 MR. ALCORN: Yeah, just one point, and I
18 think this is a really good discussion. Thanks for
19 getting on turf that I can talk. The one thing I
20 forgot to mention, and this does go back to
21 smartphones, how many people in this room have sold
22 your smartphone or traded it in for credits? How many
23 folks have done that?

24 MS. LARSON: I just did that.

25 MR. ALCORN: Okay. Many, many of us have

1 done that. That's actually what's driving this.
2 Nobody pays to recycle a smartphone. That's all going
3 into the reuse market. And the point there is, the
4 way many of us see this issue -- on some products, not
5 on all, this is a battle about who does the repair,
6 not where the repair is done.

7 I totally agree with Nathan. Repair is
8 better than recycling. We want to see more repair
9 done. But let's not conflate no repair with who's
10 doing the repair because they're really two different
11 issues.

12 MS. LARSON: Can I make a point that repair
13 has a lot of different meanings? Like when I'm
14 repairing and I need firmware, that's a repair to make
15 it work with other equipment. This is so much broader
16 than just repairing cell phones. I understand this is
17 a consumer panel. But, overall, this goes from
18 everything like we've talked about, small consumer
19 items all the way up to tractors like we said.

20 So I just want to remind people that some of
21 the issues like tying and the licensing, that all goes
22 into this. It's not just can I open up a cell phone.
23 I just want to make that point while I'm up here
24 because that's my business.

25 MS. WACK: That actually leads well into the

1 next question I was going to ask, Jennifer.

2 MS. LARSON: Okay.

3 MS. WACK: You mentioned that -- well, you
4 just said that a lot of the issue that you face with
5 repair is updating the firmware. And that when you
6 can't do that, then the device just needs to be thrown
7 away. But we've also heard about security concerns
8 that allowing third parties access to that sort of
9 information could cause a cybersecurity threat. Can
10 you speak to that?

11 MS. LARSON: Yeah, we don't want anything
12 deeper than just diagnostics and firmware patches.
13 It's just like anything else. We don't want to get
14 into the software, none of that. I just want made
15 available to me what authorized dealers get.

16 When I buy a server, I buy firmware with it.
17 So I should be able to get the updates needed to make
18 it connect to other software. In fact, I was reading
19 last night that this Mozilla FTC filing said
20 interoperability is a powerful key to unlock
21 competition in the tech sector. I'm talking about
22 interoperability -- operability, sorry. And the idea
23 that I have a machine that I own and I bought the
24 firmware with it, but now to make it connect to new
25 equipment I have to have a maintenance contract,

1 that's just wrong and anti-competitive.

2 MS. WACK: Walter, you were just discussing
3 that the question isn't necessarily whether things get
4 repaired but who does the repair. But what about
5 instances where the OEMs are just not interested in
6 engaging in repair? You know, if it's more than just
7 a broken screen or a battery, why should that not be
8 something that's opened up to third-party repairers or
9 to consumers to be able to repair those devices?

10 MR. ALCORN: Well, I think it's a good
11 question as it relates to maybe the low end of the
12 market for many product categories because -- and,
13 again, my knowledge is on the consumer side, not the
14 B2B. But at least in the consumer market,
15 manufacturers that are active in CTA's process, all
16 have some form of repair capability they provide to
17 consumers. So we may, but I don't think we represent
18 the manufacturers of those cables that are sold in gas
19 stations, maybe somewhere. But I know for the brand
20 names, they do all provide some sort of repair option
21 to consumers. Now, it varies considerably. We have
22 some companies that have gone out and literally
23 authorized thousands of repair facilities.

24 We have others that basically have very few
25 options or they want you to mail it back in order to

1 get it repaired. So I'm not saying it's perfect, but
2 what I've seen is, at least, the more valuable the
3 product, the higher end of the market, the more those
4 companies are focusing on repair and making sure that
5 consumers have the ability to get it repaired at
6 authorized places.

7 MS. WACK: Theresa?

8 MS. MCDONOUGH: Can I just make a point to
9 that? Basically, that sounds idealistic in a way.
10 When you live in a state where there is no Samsung, no
11 Apple store, how many of you could be without your
12 phone or computer for three or four days when you run
13 a business or you do your work on it? Not very many
14 of us.

15 So having the ability for small shops like
16 myself to fix these devices is so important because
17 most states or rural areas don't have access to quick
18 reliable repair shops that are certified Apple or
19 certified -- well, I don't know about Samsung. But
20 it's vital that you have these small shops because
21 otherwise people are going to be forced to upgrade
22 because they can't be without a device for very long.

23 MS. WACK: We have a question from the
24 audience for Nathan and George. With the future of
25 cars and software controls, how can we be sure our

1 computers are safe before we're sharing the road with
2 others?

3 MR. PROCTOR: "Our computers are safe."

4 That is an engineering question for the manufacturers.
5 And a lot of these repair conversations sometimes are
6 really engineering questions for the manufacturers.
7 They design and deploy devices that function a certain
8 way and they make certain engineering choices that
9 implicate the cybersecurity of those devices and the
10 reparability of those devices. And, yeah, I think
11 that there should be hard questions about the
12 trade-offs that are being made.

13 And the standards especially for things --
14 like, we have really good product safety standards for
15 airbags. But what about our data security in a car or
16 what about, like, I mean, people who are driving their
17 Tesla and then it has a failed firmware update halfway
18 through and the car pulls over because it needs to
19 flash the firmware and you were driving?

20 I mean, I think that there are problems that
21 we're experiencing we haven't experience before. And
22 I think it's good to engage in those problems, but
23 those are engineering problems at the manufacturing
24 stage.

25 MS. WACK: So my last question is -- I'm

1 going to end with you, Theresa, as well. So in one of
2 Walter's slides, it said that the right to repair
3 bills that have been introduced in the states would
4 require device manufacturers to allow anyone to change
5 or enhance their devices, on top of just repairing
6 them. So you've supported the Right to Repair bill
7 that came up in Vermont. Is that an accurate
8 characterization of what you were supporting, the
9 ability to change and enhance?

10 MS. MCDONOUGH: So few people even -- I
11 mean, my mother can't even reply to a text message.
12 So for the average consumer to want to enhance their
13 device, that's only for a few techie people out there
14 who want to customize and flash their device. The
15 average consumer just wants to be able to use it.

16 The right to repair bill is not really --
17 you know, we don't want to have to change the actual
18 software of the phone. We want to just have access to
19 fix our phones. We want to have access to good,
20 reliable parts. And, yes, most phones do get passed
21 down, but I can guarantee you a good majority of you
22 who've passed your phones down have also had to have
23 them repaired because you've broken them.

24 So the Right to Repair bill does encompass
25 all that, but particularly why I -- you know, yes, it

1 is my career. I want to be able to have a job 20
2 years from now. Who knows where technology will be,
3 but it's not that we want to recreate the wheel.

4 MS. WACK: So I hope you'll join me in
5 thanking these panelists for their time.

6 (Applause.)

7 MS. WACK: Our second panel will be
8 beginning in just a few minutes. Thank you very much.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 PANEL 2: WHAT ARE THE ARGUMENTS FOR AND AGAINST
2 REPAIR RESTRICTIONS?

3 MS. TODARO: Thank you, everyone. If you
4 all could take your seats again, we'll get started
5 with Panel 2.

6 Thank you. My name is Christine Todaro, and
7 I'm an attorney in the FTC's Division of Marketing
8 Practices within the Bureau of Consumer Protection.
9 And I have the pleasure of moderating this Panel 2,
10 which is focused on the arguments for and against
11 repair restrictions.

12 As a reminder, please silence your cell
13 phones and any other noisemaker you may have on you.
14 And as with the prior panel, if you have any
15 questions, please write them down on a question card
16 and FTC staff will come and collect them if you raise
17 your hand, and then those will be brought up to me.

18 As you'll see in their bios, I'm joined by
19 four esteemed panelists. Gay Gordon-Byrne is the
20 executive director of the Repair Association. Dr.
21 Gary McGraw is a security researcher and supporter of
22 securerepairs.org. George Kerchner is the executive
23 director of the PRBA - The Rechargeable Battery
24 Association. And Dr. Earl Crane is a security advisor
25 for the Security Innovation Center.

1 I've asked each panelist to give a brief
2 seven-minute statement on their position of the right
3 to repair. So we'll start with Gay.

4 MS. GORDON-BYRNE: Sure. Hi, everybody.
5 Gay Gordon-Byrne. I'm the executive director of the
6 Repair Association. We're actually formerly the
7 Digital Right to Repair Coalition, which is just a
8 mouthful, so we call ourselves the Repair Association.

9 We formed ourselves in 2013 in order to
10 drive legislation that would be repair friendly,
11 because we were noticing monopolies of repair in just
12 about every market we ever looked at. We've also been
13 working with standards groups and regulators, the US
14 Copyright Office, and some international entities to
15 try to do similar things for the benefit of restoring
16 our options as owners of equipment to be able to
17 repair the things that we purchased.

18 Monopolies on repair are, unfortunately, the
19 new normal. We used to always be able to fix our
20 stuff. It was a right of ownership. It still is a
21 right of ownership, and we've lost it because we've
22 failed to pay attention to all the nasty little things
23 that were happening around us, such as the presence of
24 end user license agreements, the degradation of
25 contract to the point where Magnuson-Moss was being

1 ignored very broadly, lots of antitrust questions
2 about whether or not you can tie a service contract to
3 a purchase, and things along those lines.

4 So I just want to remind everybody repair is
5 legal. It has always been legal. Repair is not how
6 people violate copyrights. It's not how they steal
7 patents. It's not how they acquire trade secrets.
8 It's not how they hurt customers. And it's not how
9 they violate cybersecurity. So I hope that we'll be
10 able to talk through some of those issues here on this
11 panel.

12 Now, the reason that repair monopolies are
13 so prevalent is the number one thing is they're
14 extremely easy. Manufacturers basically do nothing.
15 They do less than they used to do in order to
16 monopolize repair. They used to print instruction
17 manuals and repair manuals and schematics and ship
18 them with the product. Soon as they could post them
19 up on the internet, they no longer had to print and
20 ship. It was a cost savings.

21 The more stuff they got put up on the
22 internet was a cost savings. And then some bright
23 light -- I don't know where -- said, hmm, we should
24 password protect this. And then somebody said, even
25 better, we should charge for it. And then the final

1 bright light is, we shouldn't let anybody see it.

2 So it's cheap and easy for manufacturers to
3 monopolize repair, which is a triple win for them.

4 Because once they monopolize repair, they can charge
5 anything they want and you're stuck. Consumer Reports
6 did a study, it came out in 2014, and they advised
7 their entire membership that if the cost of repair is
8 more than 50 percent of the cost of a replacement, buy
9 the replacement. It's horrifying to say that that was
10 good advice, but it was good advice.

11 So they get to charge anything they want,
12 and amazingly enough, repairs are now roughly 50
13 percent or more of the cost to replace the device.
14 It's almost uniform. If a refrigerator is \$1,000,
15 repair is \$500. It sends you into the showroom, and
16 that is the intent. So the main benefit of all of
17 this accrues directly to the manufacturers in every
18 single way possible.

19 And the holy grail of all of it is to send
20 you to the showroom to buy another product. And if
21 they can then turn around and say, and I'll give you a
22 great trade-in, which no one else can do because, by
23 the way, they've also destroyed the used market, it is
24 a perfect cycle of monopoly. And I hope that the FTC
25 and some of the other regulators view it as the

1 monopoly that we see it as, because every aspect about
2 it is unfair and deceptive.

3 So here's what's going on. You buy
4 something, you go to the store, you own it until you
5 turn it on. Because now those little end user license
6 agreements say, they're active when you turn it on.
7 There's no counter-study. There's no negotiation.
8 There's not even a click to accept anymore. It's
9 over. You turn it on, you've agreed to these
10 ridiculous contracts.

11 And if you actually took a look at the
12 contracts -- and I did -- and I did and provided it to
13 the FTC as part of this panel -- basically, 100
14 percent of manufacturers have restrictions on repair
15 in every one of their contracts. There's maybe one
16 company, a company out of Europe called Fairphone.
17 Their contracts are a little hard to find because I
18 can't even find them. They may not even have them.
19 Everybody else has the same language that says, you
20 can't do this; you can't do that; you can't open the
21 device; you can't upgrade it; you can't demanufacture.
22 You can do nothing with this.

23 Now, this is totally incompatible with
24 ownership, which is where the real problem is for
25 consumers. We expect to be able to fix our stuff.

1 And we don't need any secrets to do it. We just need
2 exactly the same information that the manufacturer
3 created in order to fix their stuff under warranty.
4 Because guess what? It costs them money to make good
5 on a warranty, and that information is public
6 knowledge.

7 The average in the tech industry is about a
8 5 percent accrual for them to be able to actively
9 deliver on their warranties. So if their costs --
10 they basically said, on a \$1,000 product, I need to
11 make sure that my warranty cost is no more than \$50.
12 You better believe they've created the diagnostics,
13 the procedures, the parts, and the tools that make
14 that 50 bucks happen. But that's the information that
15 they will not share. It already exists. It costs
16 them nothing to deliver it. It's already out on a
17 website. It's just the access to the website has been
18 removed.

19 So that's the framework that I'm looking at.
20 I think the answer to the basic question is, why is
21 repair being monopolized? It's just money. If you
22 dig in any one of these corners, you will find a pot
23 of money. So, thank you.

24 (Applause.)

25 MS. TODARO: Dr. McGraw?

1 DR. MCGRAW: Hi, everybody. Pleased to be
2 here today. I'm a security guy, which is odd, because
3 it makes me sad. Because everything is insecure. And
4 I've been working for 30 years to try to make stuff
5 less secure, mostly by building it properly and
6 designing it properly.

7 So what's that got to do with being able to
8 repair something? Well, it turns out there are some
9 lessons that we can draw from engineering -- and
10 security engineering, in particular -- that apply
11 directly to this repair thing. And that is as
12 follows: If you think about repair and you have the
13 capability to repair as part of your design
14 requirements, you can create a system that is
15 repairable. And in fact, we have lots of examples of
16 those, because for many, many years, things were able
17 to be repaired, even high-tech things.

18 Same thing goes for security. If you think
19 about security while you're building something, you
20 end up with a much more secure design than if you try
21 to tack security on at the end or, God forbid, pretend
22 you have security by putting security on your box
23 without actually having any security. And if we
24 design things to be secure, they're often much better
25 than if we just sort of hope that things are secure or

1 we just connect insecure things to the internet.

2 The bad news about these two things that are
3 related is that we're not so great at security
4 engineering right now. We do have a problem with
5 insecure devices. We do have a problem with insecure
6 websites with software that's insecure, with cars that
7 are insecure. And the internet is working its way
8 into everything, as is software, so we can expect more
9 insecurity. That's why I'm sad.

10 But if we work on security and, at the same
11 time, we think, gosh, one of the aspects of being
12 secure is being able to be fixed and changed and
13 evolve over time according to the threat model that's
14 out there in the world, then we can have, as one of
15 our design constraints, the idea that people should be
16 able to fix their stuff.

17 In fact, I think if a software manufacturer
18 came to you and they said, well, we're just giving you
19 this software and you can't change any bits ever for
20 any reason, and, oh, by the way, there are these
21 massive security problems that come and we're not
22 going to fix them and you can't fix them, so nobody
23 can fix them, so we're all stuck with this broken
24 stuff, do you think that would fly in the high-tech
25 software world? It would not. It would not. We have

1 to be able to fix things. In fact, security demands
2 that we be able to fix things.

3 So the question is, who should fix things?
4 Should it just be the manufacturer that sold you that
5 stuff? Is it okay to count on monopolies, in some
6 cases, to control the right to repair going forward?
7 I think the answer to that is clearly no.

8 But I do think that free markets are things
9 that we should strive for and we have to support the
10 free market. It is fine with me if a monopoly decides
11 we're going to say this is not repairable, and we're
12 going to sell it as something as-is forever, doesn't
13 change, here you go. And we, as consumers, can decide
14 whether that's good for us or not.

15 You know, we may decide that's fine. I'll
16 just throw it away and get a new one. That's a
17 consumer decision. But, you know, if a company
18 decides they want the right to repair to be built in,
19 like security is built in, and they can advertise that
20 fact and compete in a fair market, then we've got
21 something better.

22 This does not speak to the third-party
23 markets that we heard about this morning in the other
24 panel. I think that's also important, but I think
25 that the main gist of what we've got to get to today

1 is how we can tease apart this spurious security
2 argument that I've heard out there in the world and
3 the repair argument. Because mixing them together is
4 a very sneaky trick, but it's not really true at all.

5 The truth of the matter is we can design
6 things to be repairable, we can design things to be
7 secure, and those things are not orthogonal. And
8 that's all I've got to say.

9 (Applause.)

10 MS. TODARO: George?

11 MR. KERCHNER: Well, Gary's the security guy
12 and I'm the battery guy. So I'm here to speak to some
13 of the battery issues that were mentioned in the panel
14 earlier today, but also give you a little education on
15 the lithium-ion battery and cell world and how these
16 batteries are designed to power certain consumer
17 products.

18 So I'm with PRBA, The Rechargeable Battery
19 Association. We're based here in Washington, DC. We
20 represent the major manufacturer of consumer and
21 industrial rechargeable batteries, as well as the
22 products that are powered by these batteries. So
23 everything from a cell phone to an electric vehicle to
24 a 40-foot container that's used to hook up the
25 electrical grid, our members manufacture those

1 batteries and those products.

2 As we know, lithium batteries -- lithium-ion
3 batteries, that is -- is the preferred rechargeable
4 battery for consumer products. We are committed to
5 the safe transport, use, recycling, and disposal of
6 these batteries. And we actually would like -- we're
7 here to discourage new rules or policy from the FTC
8 relating to right to repair that would exacerbate the
9 fire risks arising from this mishandling.

10 So, again, PRBA's focus over the years
11 working with the Department of Transportation, OSHA,
12 Department of Energy, EPA, is all about the safe use,
13 recycling, and transport of these batteries. So when
14 the right to repair issue came up, I've attended some
15 of the state -- I've testified in some of the state
16 houses on batteries. And I've gone there to explain
17 the difference between a lithium-ion battery or a
18 lithium-ion cell and an alkaline battery.

19 So we, the consumers, can go to any store
20 and buy an alkaline battery that we're all very
21 familiar with, right? You can buy that at any
22 consumer -- any retail store. When you go to buy
23 lithium-ion batteries, or lithium-ion cells, as we
24 say, we have cells, individual cells like, these
25 18650s and we also have things called pouch cells.

1 Now, I know the folks that are here that do
2 repairs are very familiar with these pouch or polymer
3 cells. They're very thin. They're flexible. And
4 these are the types of cells that you see in a lot of
5 your cellular phones, okay? The 18650 cells are used
6 in things like power tools. They're also used in
7 laptops and they're used in a lot of industrial
8 products. So, example, some of the electric vehicle
9 manufacturers will use, literally, 5-, 6-, 7,000 of
10 these individual cells to power their vehicles.

11 The bottom line is, though, these cells,
12 when they are electrically connected to form a battery
13 like you see here -- so again, I've got five
14 individual cells that are electrically connected for
15 this power tool battery. This power tool battery is
16 designed with a system in mind. That is, the battery
17 talks to the charger; the charger talks to the device.
18 It's a safety system when those devices -- when that
19 entire system is tested.

20 So, for example, that battery is tested.
21 The drill is tested. It's tested to a safety
22 standard. And that battery was specifically designed
23 to power that -- for example, in this case, a power
24 tool.

25 When you go into the store and you buy a AA

1 Duracell or Energizer battery, that's a swappable
2 battery. You can put an Energizer and a Duracell in
3 the same flashlight, it will work perfectly fine.

4 If you take one of these cells out of this
5 battery pack and swap it with another manufacturer's
6 18650 cell, that is a completely different battery
7 design, okay? And that's an important thing to
8 recognize, that these cells that are electrically
9 connected in this battery are designed specifically
10 for that particular product. It's not like you can
11 walk into a retail store and buy an over-the-counter
12 polymer cell like you see here, okay? This polymer
13 cell was designed specifically to power a particular
14 product.

15 So again, it's important to recognize from a
16 safety standpoint -- and that is our focus at PRBA, is
17 the safety of these batteries. We've recognized that
18 they're used widely by a lot of consumers. They're
19 designed to power specific products and they're also
20 designed to be repaired by repair facilities that have
21 been trained on how to replace these particular
22 batteries. If you were to take one of these cells and
23 pull it out of this battery pack without the knowledge
24 of how that whole system works, that safety system,
25 you're jeopardizing the design of that particular

1 battery and that particular product when it's used.

2 So, for example, these two cells look
3 exactly the same. They have the same dimensions.
4 They're 18650, 18 millimeters in diameter, 65
5 millimeters in length. This cell could have been
6 designed to power a notebook. This cell could have
7 been designed to power a power tool. If you mix these
8 up, while they are the same size, and you put these
9 batteries with these cells together, that's where
10 we're concerned on some of the safety issues when
11 consumers or repair facilities are unaware of the
12 difference between these individual cells.

13 And I think that's important, at least from
14 our perspective, where we have members who have as
15 many as 30 different models of 18650s. One of our
16 members, for example, the military came to them and
17 said, can you make me an 18650 that I can use in very
18 cold temperatures and high altitudes in Afghanistan?
19 So again, that manufacturer went and said, okay, we'll
20 make an 18650 cell specifically for that application.

21 And that's important to recognize, that when
22 you're going in and you're repairing products and
23 you're not aware of the differences between the
24 different cell chemistries -- and there are about six
25 different lithium-ion chemistries in the world today

1 that are used, both for consumer and industrial
2 products. There's different chemistries. There are
3 different designs to power certain products. And
4 without that knowledge, there's a lot of safety
5 concerns that we, as an industry, have.

6 And I think that's particularly important
7 for the FTC and others to recognize that ubiquitous
8 nature of lithium-ion batteries. We know they're out
9 there. They're in hundreds, if not thousands, of
10 different products. But understanding the safety
11 issues associated with batteries and the different
12 nuances with different chemistries, that's our biggest
13 concern.

14 Let me see if there's anything else here I
15 wanted to touch on before my time's up.

16 I think this was mentioned earlier. Our
17 members do have repair facilities and they're
18 authorized repair facilities. And as it was mentioned
19 earlier, these employees that work at these repair
20 facilities go through very extensive safety training,
21 technical training. They have to pass software exams,
22 hardware exams. And they're also trained on what
23 happens if a battery goes into thermal runaway.

24 Now, I know somebody mentioned this earlier.
25 You know, these batteries, if they're badly damaged or

1 they're improperly manufactured, they can go into
2 thermal runaway. Temperatures when they go into
3 thermal runaway, over 600 degrees Centigrade. So 600
4 degrees Centigrade for somebody that is not aware of
5 the risks associated with that is a very serious
6 issue.

7 So again, focusing our attention here on the
8 safety issues, again, is the key thing for at least
9 when we come into this right to repair issue. And,
10 unfortunately, we have seen a number of incidents
11 involving these batteries in transportation and use.
12 Someone mentioned earlier the hoverboards, right?
13 That was certainly the poster child of a badly-
14 designed product, a badly-designed battery, and cells
15 that were not properly designed to power that
16 particular product.

17 And I hate to pick on the e-cigarette
18 industry, but I'm going to have to, because that's
19 another example of an industry that is misusing 18650
20 cells that were never designed to power things like a
21 vaping device.

22 I'll leave it at that. My time's up. Thank
23 you for the opportunity to speak, and I look forward
24 to the questions.

25 (Applause.)

1 DR. CRANE: Good afternoon. My name is Earl
2 Crane. I'm the other security guy, and that makes me
3 happy because we have two panelists up here to talk
4 about security in this important conversation. And I
5 think what you'll find what's going to be interesting
6 is Gary and I, by the end of this, are going to be
7 agreeing on more things than we may be expecting so
8 far.

9 So I'm going to go into it, and I'll
10 apologize up front, I am going to go over my time.
11 But I cleared that one already, right? Ask for
12 forgiveness rather than permission. I've been in the
13 field for 20 years. I'm a cybersecurity executive,
14 and I'm an advisor to public and private sector
15 organizations. And I've worked with security
16 startups. I was at the White House on the National
17 Security Council as a director for federal
18 cybersecurity policy. I've worked in the financial
19 sector and other Fortune 100s.

20 I'm also an adjunct professor at Carnegie
21 Mellon, where I've taught cybersecurity to graduate
22 students and executives since 2002. And I'm a
23 cybersecurity fellow at the University of Texas -
24 Austin Strauss Center. And, interestingly, for this
25 conversation, back in 2010, when I was at Homeland

1 Security, I was part of the task force where we helped
2 to bring consumer devices into government, called
3 "bring your own device."

4 As you can imagine, my entire perspective is
5 viewed through the enterprise cybersecurity lens. I
6 also personally want to say that I'm a tinkerer and I
7 am a fixer, and I appreciate the ethos of the repair
8 movement. I will admit it's very satisfying, the
9 feeling you get from repairing something you own and
10 helping others who want to repair their broken things
11 to help reduce cost, reduce waste, and help
12 hardworking Americans stretch their dollar.

13 However, there is a big misconception that
14 this is without consequence. Specifically, it can
15 cause harm to someone else. And that gets to the core
16 of my concern. Forcing repair on third parties, like
17 enterprise customers and manufacturers, can make
18 security worse and not better for all of us. And
19 here's how.

20 First is the loss of accountability for
21 security. It's difficult to hold OEMs accountable for
22 security of their products if we also legislate design
23 changes that will negatively impact security. Second
24 is the risk of backsliding the security progress that
25 we've made. It's not just a consumer security issue,

1 because we've merged consumer and enterprise
2 technology. We can't think narrowly about how
3 consumers use technology today, but think of how all
4 of us will use technology in the future as our lives
5 are interconnected and digital, both at work and at
6 home.

7 And third is the loss of consumer choice in
8 increasing costs. Consumers should have the choice to
9 determine what design decisions are most important to
10 them. Maybe it's safety, security, repairability,
11 reliability, cost, and other features. The more
12 constraints, though, we add through legislation, the
13 higher the cost.

14 So first, I want to talk about
15 accountability for security. Consumers have an
16 expectation of privacy and security. They believe
17 that technology products and services should perform
18 as designed. However, without accountability, we have
19 no foundation of trust. And without trust, we lose
20 integrity. In the issue of repair, unauthorized
21 repair removes the accountability that a manufacturer
22 had for privacy and security, because an unauthorized
23 repair breaks the chain of trust in a digital
24 ecosystem.

25 Some manufacturers have gone as far as to

1 remove their ability to access a device without user
2 credentials to preserve that accountability. However,
3 mandating design decisions runs in direct
4 contradiction of policies that focus on manufacturer
5 accountability. And any repair legislation without a
6 consideration for security and the preservation of
7 trust is a risk and a danger to both the individual
8 and our enterprise consumers.

9 The second piece I want to get into is the
10 cost, the backsliding of our security progress. I'm
11 concerned that repair legislation that's not
12 coordinated with security efforts, not coordinated in
13 the design process, will take a step backwards. To
14 understand how, let's rewind back to 2007. When
15 smartphones were first coming onto the market, these
16 consumer devices were not designed with enterprise
17 security in mind. However, people wanted to bring
18 them into the office and use their powerful features.

19 Fast-forward to today, and leading
20 smartphone manufacturers have incorporated enterprise
21 security capabilities into their consumer products.
22 The cybersecurity industry has been working for years
23 to improve security in our hardware and our software
24 systems. For example, at Homeland Security we
25 sponsored a Build Security In program to help develop

1 best practices and guidance to build security into
2 every phase of the software and hardware design. This
3 led to new efforts in security engineering by
4 government, industry, and academia.

5 Thankfully, industry has increasingly
6 embraced secure development principles, leading to a
7 safer and a more secure cyber ecosystem. And
8 government agencies like the FTC and DHS have asked
9 manufacturers to take responsibility for product
10 security. The Government expects electronics
11 manufacturers to implement comprehensive privacy and
12 security programs covering not only new products, but
13 also legacy products, as well. And that is what
14 they've done.

15 Take, for example, where the US Government
16 has worked with manufacturers to improve security of
17 their products so they can process government
18 information. We see this in programs like the
19 Commercial Solutions for Classified Use Program,
20 called the CSFC, and the Bring Your Own Device
21 policies, BYOD, that I mentioned earlier for
22 unclassified systems.

23 We worked with manufacturers to encourage
24 them to build security into their devices so they'd be
25 secure enough for enterprises to adopt, and this was

1 hugely successful. The consumer market drove demand
2 for the latest innovations, like cameras and
3 connectivity and battery life, while the enterprise
4 market drove demand for security, privacy, and
5 management.

6 What we did not do was mandate new security
7 features through legislation. We used other levers,
8 like the Government's buying power and the buying
9 power of the market and participating in that market.
10 And the participation was left to be voluntary on the
11 part of the manufacturer.

12 Now, while not all manufacturers have
13 embraced these programs, the leading ones have. And
14 you can find their names. They're publicly listed on
15 the NSA website. Yet, with the proposals that we've
16 discussed, it feels like we're taking for granted the
17 progress that we've made. And now we're at risk of
18 backsliding to mandate design decisions on
19 manufacturers to open up a broad range of devices
20 without regard of preserving their integrity model.

21 It also sets a troubling precedent for the
22 future of connected product security and privacy.
23 Forcing repair requirements onto devices that were not
24 designed into the manufacturer's security model breaks
25 the device integrity. The security capabilities will

1 be less effective, both for enterprises and for
2 consumers. This is a big deal because it's a slippery
3 slope. If design decisions can be mandated by
4 government that compromise security and privacy today
5 for repair, what's to stop future legislation from
6 compromising security and privacy in light of some
7 other goal that was seen as altruistic at the time?

8 Today's most sophisticated
9 internet-connected device is our smartphone. What
10 happens in 5 or 10 years when smart internet-connected
11 devices are pervasive? According to Forbes,
12 internet-connected devices will continue to grow at
13 7.3 percent annually, with industrial IoT projected to
14 be at \$123 billion in sales by 2021.

15 The same innovations that brought
16 smartphones into the workplace will bring smart
17 devices into all aspects of our lives. Not just our
18 lives as a consumer, but the way we work, conduct
19 commerce, and manage a global ecosystem will
20 fundamentally change over the next decade.

21 And, third, I want to talk about consumer
22 choice. Consumers should have a choice between a
23 repairable device, a secure device, or a securely
24 repairable device, each one with increasing cost at
25 each option, because we're putting more constraints on

1 the engineering process. But forcing this option
2 outside of the design breaks the security model and it
3 breaks the market. Forcing repairability to trump
4 security is short-sighted and will drive up the costs
5 for all consumers as this new constraint is mandated.

6 We're at risk of taking away the ability for
7 manufacturers to design their IoT devices for security
8 and economic competitiveness, because we want dual-use
9 devices for work and for play. Additionally, mandates
10 for repairability and security will drive up the cost
11 for dual-use devices that are both highly secure and
12 consumer repairable. Consumers may not want to pay
13 for both, and they should be able to make that choice
14 for themselves.

15 Manufacturers make conscious decisions about
16 what they release publicly, what they share with only
17 their partner networks, and what they keep
18 confidential. For example, many companies already
19 publish their documentation and APIs publicly so
20 organizations and individuals can build interfaces.
21 Today, authorized shops and dealers that provide
22 repair have an obligation that a repair is performed
23 to manufacturer standards, addressing safety and
24 security issues. Forcing manufacturers to share codes
25 and tools that push beyond what is necessary for

1 repair inadvertently may cause harm.

2 In addition, it may also result in the
3 information sharing environment that we've built for
4 information security for partner networks to clamp
5 down, inhibiting innovation, growth, and the sharing
6 of security information. So consumers have plenty of
7 choices in the marketplace and they can choose some
8 manufacturers that prioritize security and others that
9 prioritize repairability. But there's no reason that
10 legislation should mandate repairability and take away
11 consumer choice between repairability and security.

12 This is a complex issue. There are no easy
13 solutions, but I'd like to reiterate my three guiding
14 points. Don't give manufacturers an out of
15 accountability for security by mandating they open up
16 their devices for repair. Don't reverse the security
17 successes we've already had and don't remove the
18 consumers' options to get their devices repaired based
19 on their level of informed risk appetite and their
20 need for accountability.

21 Thanks for your time. I look forward to
22 your questions.

23 (Applause.)

24 MS. TODARO: Gary, I'm going to start with
25 you. How do you respond to Dr. Crane's argument that

1 design and security don't necessarily go hand-in-hand?

2 DR. MCGRAW: I don't think that's what he
3 said. I think what he said is designed for repair
4 and designed for security together would be so
5 expensive --

6 DR. CRANE: It would be more expensive.

7 DR. MCGRAW: -- that we can't innovate.

8 DR. CRANE: I wouldn't say that we can't
9 innovate, but you're absolutely right. We can design
10 for security --

11 DR. MCGRAW: I'm just putting words in your
12 mouth.

13 DR. CRANE: But I appreciate you correcting
14 the question, was my point. Thank you.

15 DR. MCGRAW: So my view is that the cost
16 doesn't necessarily have to go up if you have repair
17 as one of your design objectives. So you may not have
18 security as a design objective, by the way. That's
19 not always important, and consumers can decide whether
20 they want something secure or not. Right now, the
21 problem is that consumers are woefully misinformed
22 about a lot of things. Security is one of them.
23 Repairability is another.

24 You sort of assume that you're going to be
25 able to repair some stuff like, I don't know, a

1 tractor, you know. Because my father-in-law has 30
2 tractors in a tractor shed and they swap parts all the
3 time. And they keep about five of them running for
4 apple-picking time. And guess what? When that's no
5 longer possible, that cuts into the tiny sliver of
6 margin that farming already has. That's a problem.
7 And we have to just recognize that that's a real
8 problem and try to design around it.

9 I think that the real answer is that we can,
10 as high-tech people, cooperate and think about both of
11 these aspects that we may want and create products
12 that can do both that may, in fact, even be cheaper
13 and may serve to open other aspects of the market that
14 would be otherwise closed because of monopoly.

15 So I do agree with your claim that having
16 two constraints is more challenging. But I don't
17 agree that that makes things more expensive. I just
18 think we have to do it. And I think we should do it
19 ourselves. That would be great. We have a really
20 crappy track record on that, so it would be a super
21 bummer if the FTC had to make us do it because we
22 should just do it.

23 DR. CRANE: Do it ourselves.

24 DR. MCGRAW: So let's do it.

25 (Applause.)

1 DR. MCGRAW: Sorry, what was the question
2 again?

3 (Laughter.)

4 DR. CRANE: But I like the answer.

5 MS. TODARO: You tell me.

6 DR. CRANE: I like the answer, and I'm happy
7 to respond to any parts of it, too. But like I said,
8 I think we're more aligned than different, as security
9 folk.

10 MR. MCGRAW: So do I.

11 MR. KERCHNER: I should let these two sit
12 together.

13 DR. CRANE: You're intentionally in the
14 middle.

15 DR. MCGRAW: There are dangerous batteries
16 between me and him. They might spontaneously combust.
17 So I'm really worried about that.

18 MR. KERCHNER: Nobody wants to sit next to
19 me when I bring these batteries.

20 (Laughter.)

21 DR. MCGRAW: Can you scoot over a little?

22 MS. TODARO: We're going to talk about those
23 batteries in just a second, but Gay has something
24 she'd like to say.

25 MS. GORDON-BYRNE: I just wanted to make one

1 comment for Dr. Crane, is that I'm very personally
2 involved with all the bills that have been presented
3 for right to repair in state legislatures. And the
4 only bill that had any kind of design requirement in
5 it, which was shot down in Washington State, was that
6 there be no glue.

7 Our proposals and our philosophy is that we
8 don't want to make any design requirements. If
9 manufacturers want to make stuff that's unrepairable
10 and glued together, that is a consumer choice. It's a
11 design choice; it's a marketplace. The free market
12 will resolve those questions. So I just want to
13 please detach that right to repair legislation, as
14 being proposed, is headed towards, in any way, a
15 design mandate. Because it's not.

16 DR. CRANE: If I could respond to that, so I
17 disagree. The legislation that I looked at, anytime
18 you put a constraint onto a system that says it needs
19 to meet a particular capability, that becomes a design
20 constraint.

21 MS. GORDON-BYRNE: No, there's not a word in
22 any of these bills that says that.

23 DR. CRANE: I saw elements describing how
24 there were requirements for what manufacturers would
25 release and the necessity to be able to have

1 components and parts within those bills that was
2 more --

3 MS. GORDON-BYRNE: It does not. No.

4 DR. CRANE: -- it was taking it beyond
5 repair. And the problem is that the bills were
6 inarticulate.

7 MS. GORDON-BYRNE: Excuse me. Bring up a
8 bill. Put it up on your laptop, and let's read
9 through it together. Because you are making
10 extrapolations about the language in the bill that are
11 not there. They are, frankly, not there. And if
12 there are things that are there that are offensive to
13 legislators, they will be more than willing to help
14 them and to revise the bill. But there are no design
15 requirements whatsoever.

16 The only requirements of the bill is
17 whatever the manufacturer currently makes available to
18 its "authorized" locations. And that is only what
19 they're required to provide, is what they've already
20 created for purposes of repair. If they are selling a
21 service assembly, they don't have to sell a component.
22 They only have to sell the service assembly. If they
23 are putting documentation out on the internet, they
24 just need to make it available. It just needs to be
25 the same. That's all it has to be, is the same.

1 MS. TODARO: I'm just going to interject
2 here for a second. The third panel, the next panel,
3 will be discussing some of the proposed legislation.

4 MS. GORDON-BYRNE: Okay, very good.

5 MS. TODARO: So if we can continue the
6 discussion on the arguments in favor and against
7 limitations on the right to repair.

8 MS. GORDON-BYRNE: All right. I'll shut up.

9 MS. TODARO: It's a very important
10 discussion, but since there will be another panel that
11 will specifically address some proposed legislation, I
12 think we will move the discussion forward.

13 I'm going to turn a question over to George.
14 There's been a lot of interest from the audience about
15 the safety of these batteries, the lithium-ion
16 batteries. And the question that several people have
17 raised is, why don't the OEMs just release information
18 about the different types of batteries to third
19 parties? And if that information was out there, would
20 that eliminate some of the risks of the physical
21 safety associated with the batteries?

22 MR. KERCHNER: Yeah, that's a great
23 question. Thanks for asking that. So I think the
24 short answer is no. Because, again, last year, I
25 think there were seven billion lithium-ion cells

1 manufactured last year, right? So having someone -- a
2 consumer, for example -- understand the difference
3 between that 18650 or the next 18650 or this polymer
4 cell from another polymer cell is very difficult. And
5 I think it was mentioned on the first panel, there's a
6 lot of counterfeiting that's going on in the
7 marketplace, right? So having that information --
8 just handing that information over to the consumer may
9 not be enough.

10 In addition, because these batteries -- when
11 you're electrically connecting batteries -- are
12 designed as a system -- again, the battery's talking
13 to the device; the device is talking to the charger.
14 There's a lot of complexity there. And those
15 batteries and those devices were manufactured to
16 certain safety standards. And allowing consumers to
17 be in there to repair those without that knowledge of
18 those safety standards is a big concern for us.

19 In addition, and I have to mention this,
20 that if a consumer repairs a battery, a multi-cell
21 battery like this, that's a completely different
22 battery design. And if that consumer takes that
23 product or that battery on board an aircraft when
24 they're traveling by air, that's a violation of US and
25 international standards. Again, because that battery

1 design was tested to a certain specification. It's
2 required by the Department of Transportation,
3 international organizations. And any change to that
4 design is going to be a different battery design.
5 It's not going to be the same battery that was tested
6 to a certain standard.

7 And in order to carry those onboard the
8 aircraft as passengers, if it's an untested battery,
9 that's a violation of federal as well as international
10 standards. I just wanted to point that out.

11 DR. MCGRAW: Why do we want them again?

12 MR. KERCHNER: It's an awesome technology.

13 DR. MCGRAW: Oh, okay.

14 MS. TODARO: Gay, is there any evidence that
15 supports the argument that parts used by independent
16 repair shops are more likely to be counterfeit? Or
17 what's your argument or response to an argument that
18 independent repair shops are more likely to use
19 products that may be counterfeit?

20 MS. GORDON-BYRNE: I wouldn't say so much
21 counterfeit as I would say they may not be the same
22 quality. And the reason is that if the manufacturers
23 will not sell their parts, people are really highly
24 demanding repair and they will seek out parts. And
25 they will seek out parts on eBay and on all sorts of

1 -- any way that they can, because the manufacturers
2 won't sell the parts. And this includes batteries, as
3 well.

4 So there is no certification for parts, as
5 was talked about earlier. There's no way for a
6 consumer to know if a part has been blessed or not
7 blessed. Just as in the auto industry, when you go
8 into a dealership and they say, do you want an
9 aftermarket alternator, an OEM original alternator, or
10 a rebuilt OEM original alternator? You have those
11 choices. In the electronics world, those choices
12 don't exist.

13 If you can't buy the OEM original, which is
14 the de facto situation right now, you're always buying
15 a brand X, and you don't know how good it is. It's
16 probably functional or you'll immediately reject it as
17 a buyer.

18 Whether it's counterfeit, I can't speak to
19 that. I know there's some evidence that there's a lot
20 of counterfeit electronics. But that, I think, is
21 more of a problem of the OEM policing their supply
22 chain more effectively than they do.

23 But, basically, consumers want original
24 parts. And if they can't get them, they're going to
25 get a substitute. The quality is variable, and a lot

1 of our small repair shops have a lot of trouble
2 acquiring parts. But in the enterprise scale
3 equipment, they are acquiring parts off of existing
4 technology. So they're taking it -- like Jennifer
5 said, they'll take a power supply off of something
6 that's not working for some other reason and they'll
7 insert that. So it's an original part. It's an
8 authentic part. It's just really hard to do with
9 things that are consumable, like batteries and glass.

10 MS. TODARO: So, George, if the OEM parts
11 were sold directly to the independent repair shops,
12 would that alleviate some of the concerns that you
13 have?

14 MR. KERCHNER: Well, again, not necessarily.
15 If it's an authorized repair facility that has been
16 trained in how to replace the battery, how to respond
17 to thermal events involving batteries, understanding
18 the entire safety system associated with that battery,
19 that's the model our members support. Again, there
20 are thousands of authorized service centers for the
21 products that our members manufacture. They've gone
22 to great length to train all those employees to
23 understand how to properly install those batteries.

24 If it's installed improperly by an
25 independent repair facility that's not authorized,

1 they could have installed it properly, but down the
2 road, if that phone or that notebook or that tablet
3 gets dropped and that battery gets jostled around,
4 that's where the damage could come, especially for
5 these polymer cells. And, again, this is the
6 preferred form factor for all those thin notebooks and
7 cell phones and such that we have. And it's flexible.
8 There's some flexibility there.

9 If you damage that separator -- and again,
10 in our comments that we filed with the FTC, there's a
11 great example of a phone that was repaired by an
12 unauthorized service center, where a screw was left
13 inside the phone. It punctured the cell, caused a
14 thermal event on an aircraft. And those are the kind
15 of things that, again, we have to deal with.

16 And at the end of the day, if it's a
17 lithium-ion battery incident, it's a black eye for the
18 whole industry, right? It doesn't matter whose
19 battery it was, if it was an Apple product or a
20 Samsung product or an LG CAM product, whichever product
21 it is, their name is in the headline, right? So we're
22 very sensitive to the fact that our members are very
23 supportive of the whole authorized repair facilities.
24 And that's why they go to great length to train their
25 employees to understand those safety issues.

1 MS. TODARO: Dr. Crane, can you talk a
2 little bit more specifically about the cybersecurity
3 risks that you see associated with third-party repair?

4 DR. CRANE: Fundamentally, if your -- so
5 there are two key aspects to that. One is to the
6 device and the other is to the design. So first to
7 the device is if you are changing out any component at
8 the hardware level with another piece of hardware,
9 you're not able to provide the same level of assurance
10 that something else didn't happen. So that's the
11 first key piece of that.

12 And we've gotten a lot better with built-in
13 security modules, TPM modules, signing keys on devices
14 to try to protect those crypto devices, protect those
15 secrets on the device, and making sure that the right
16 integrity and relationships with those components are
17 preserved helps to provide that security integrity on
18 the specific device.

19 The second one is that it's a fundamental
20 rule of security that the best security is -- like
21 with a crypto algorithm -- that it's open to the
22 public. It's open for inspection. Good crypto
23 algorithms are those that are open for the public and
24 for inspection. What's not okay is when you open up
25 the signing keys, the secrets inside. And the

1 challenge has been that in the repair conversation, it
2 has not been articulated enough. We haven't had
3 enough of a security discussion in here to make clear
4 what will be mandated to be released and where the
5 overreach is. And that's why I'm glad that we're
6 having this conversation now.

7 MS. TODARO: Gary?

8 DR. MCGRAW: I've got a question. So do you
9 believe in free computation, that you should be able
10 to compute stuff?

11 DR. CRANE: You mean -- what do you mean?

12 DR. MCGRAW: People. Like should people be
13 allowed to compute things, run software, do
14 computation or should that be controlled?

15 DR. CRANE: Well, it depends on what the
16 computation does. Computation to calculate the
17 nuclear control secrets, right?

18 DR. MCGRAW: Yes, good. So sometimes it
19 does need to be controlled, and other times, it may
20 not need to be controlled.

21 DR. CRANE: Yeah. It depends on what the
22 purpose is and what you're doing.

23 DR. MCGRAW: So if we build a security model
24 for a consumer device that is the same model we use
25 for nuclear secrets, is that overkill?

1 DR. CRANE: It depends on what the cost is
2 going to be, right? If a consumer device, that
3 security module, can be computed and it's the same one
4 that you're providing and it's purchasable for a
5 consumer at the same price point, it's a good thing
6 that it's more secure.

7 DR. MCGRAW: So I remember an iteration of
8 this kind of conversation intellectually about, I
9 don't know, the late '90s, when Microsoft was talking
10 about putting a security code processor on some of
11 their motherboards. And the thinking was, well,
12 that's good for some aspects of security, but what if
13 Microsoft decides that only Microsoft signed code
14 should run on that platform because security? That's
15 taking away computation freedom.

16 And at the time, that was used to push back
17 against this overreach of a monopoly, at the time.
18 And I think it was done properly. And, frankly, I
19 think we're in the same place right now, where we're
20 using security as kind of this shield for a land grab
21 that is unnecessary.

22 DR. CRANE: Right. So the instance you're
23 referring to was some of the restrictions where you
24 wouldn't be able to run other operating systems on
25 Microsoft hardware?

1 DR. MCGRAW: Other software at all.

2 DR. CRANE: Right. No Star --

3 DR. MCGRAW: It turns out other operating
4 systems --

5 DR. CRANE: Yeah, no StarOffice, no
6 OpenOffice, no Linux systems.

7 DR. MCGRAW: No Linux.

8 DR. CRANE: No Linux systems on those.

9 DR. MCGRAW: Now Microsoft sells Linux.

10 DR. CRANE: Right. So the issue is, while I
11 think that's an important piece of the conversation
12 when we're talking, I don't think that that's germane
13 to the repair conversation. Because we're not talking
14 -- what you're describing is being able to use
15 software outside of the original manufacturer design
16 specifications to have the openness to compute other
17 things on it, as well. And that's a modification.

18 DR. MCGRAW: Because it was designed
19 incorrectly.

20 DR. CRANE: That's a modification and an
21 enhancement, not a repair to manufacturer standards.
22 And it is a good and important conversation to have,
23 but not part of the repair discussion.

24 DR. MCGRAW: Yeah. I think you and I agree
25 that they can be orthogonal and they probably ought to

1 be orthogonal. So I get worried when we tie this
2 notion of security as, oh, my God, that's going to
3 break -- you know, if we add repair, it will break
4 security. I think that's just indicative of really
5 bad security design.

6 DR. CRANE: Right, and there's plenty of bad
7 security out there.

8 DR. MCGRAW: Oh, man, there's --

9 DR. CRANE: Already, yeah.

10 DR. MCGRAW: I'm with you on that. So
11 there's unwashed horribleness that we don't even want
12 to talk about. But among the people that are trying
13 to build stuff for people to use and be secure, we can
14 make different decisions. And we can make systems
15 that are able to be repaired and also secure at the
16 same time.

17 DR. CRANE: And we've had a lot of successes
18 in doing that as security engineering processes and
19 security engineering -- I mean, a lot of the seminal
20 work that you've done has been very helpful, right?

21 DR. MCGRAW: I did that?

22 DR. CRANE: Your top 10 security things that
23 need to happen when you're building secure software.
24 But all that is at the manufacturer elements, at the
25 -- and improving those elements. And we don't want to

1 begin putting constrictions on and lose any of that
2 because we now have this new constraint of repair.

3 DR. MCGRAW: I see your point. I don't
4 think we have to, but I see your point. So let's have
5 the market figure that out. But the problem is that
6 if we're marketing these things -- they used to be
7 marketed towards tiny, so small was the new big, and
8 then skinny. Now, skinny is the new big, but big is
9 the new small. I don't know. It's very confusing.
10 But, apparently, it changes battery shape, right?

11 DR. CRANE: Right.

12 DR. MCGRAW: And people want the thing,
13 because -- I don't know. What's Apple's marketing
14 budget again? Is it little? I think it's not little.

15 MS. GORDON-BYRNE: It's bigger than mine.

16 DR. MCGRAW: I'm an Apple shareholder, so
17 that's cool. But, I mean, the thing is a lot of these
18 consumer wants and desires are driven by advertising
19 and they're just a coolness factor. They're not
20 driven by security or anything else. And many of the
21 factors are invisible to consumers.

22 Who said, in the first panel, nobody knows
23 whether something can be repaired when they buy it at
24 the store? Was it your mouse we were talking about?
25 You bought a Logitech mouse? What the hell.

1 (Laughter.)

2 DR. MCGRAW: I thought you were a geek.

3 Sorry, that's Paul over there.

4 So the problem is that these things like
5 repairability and security are invisible to consumers.
6 And the claims that are made -- well, there aren't any
7 claims made. So maybe we should fix that so that
8 people can make a more informed choice when they buy
9 stuff.

10 MS. TODARO: George, I just want to have a
11 followup question to that. Do you agree that the
12 design decisions are not made for security or safety
13 reasons?

14 DR. MCGRAW: What?

15 MS. TODARO: I think on -- for George, I'm
16 sorry.

17 On the earlier panel, we heard that design
18 decisions are often just made in response to consumer
19 demand. And there was some discussion about it. He
20 says to keep the devices together. So I'm wondering
21 what your thoughts are on whether or not certain
22 design decisions are made specifically with regard to
23 the safety of the lithium batteries.

24 MR. KERCHNER: Oh, absolutely. And, again,
25 characterizing the design choices and repair policies

1 as repair restrictions, I think, is incorrect. I
2 mean, again, our members manufacture the safest
3 batteries in the world, right? And our members
4 manufacture the safest products in the world. And
5 that battery manufacturer works very closely with that
6 product manufacturer. And that product manufacturer
7 goes to visit that battery manufacturing facility to
8 make sure they're designing and manufacturing the
9 safest batteries in the world.

10 And, again, that relationship between the
11 product manufacturer and the battery manufacturer to
12 manufacture a product that the consumer wants, whether
13 it's a thin -- you know, as Gary said, a thin phone,
14 that's the direction those manufacturers or products
15 are going to go. If the industry or the consumer
16 wants those thin products, those are the products our
17 members are going to manufacture. But, again, for our
18 members, it all goes back to making sure it's the
19 safest product they can put in the marketplace.

20 DR. CRANE: Christine, can I address that,
21 too?

22 So I need to recharacterize, also, the way
23 you stated that. You said, are design decisions not
24 made for security and safety. And I think it's the
25 complete opposite, where there is this challenge of

1 this assumed element of the restriction component of
2 this panel. Because I want to bring up what Gary just
3 shared, is it would be great if we could get people to
4 make consumer-based buying choices because of the
5 security of the device or the repairability of the
6 device, in addition to the features of the device and
7 all those -- those are design functions. But saying
8 that a product is designed without any of those
9 considerations -- it doesn't magically show up on the
10 market.

11 Take, for example, like I mentioned during
12 my opening remarks, the improvements over the past
13 decade in security so that we're able to take what was
14 just a consumer device that we would never let into
15 the enterprise -- that's where BlackBerry was. That
16 was the domain of -- you had enterprise-focused
17 technology and consumer-focused technology. And, now,
18 you've got the smartphones that are the same device
19 both in the consumer space and in the enterprise
20 space.

21 DR. MCGRAW: In between, what caused that
22 was this thing called the internet.

23 DR. CRANE: And all the other great features
24 of it.

25 DR. MCGRAW: I'm totally serious. That

1 changed everything. So the idea of going, well, there
2 was some enterprise stuff and then there was the
3 consumer stuff, and the consumer stuff was better,
4 well, they adopted the internet.

5 DR. CRANE: Well, it was the demand that
6 drew it in, right?

7 DR. MCGRAW: Yeah.

8 DR. CRANE: So my point being that it wasn't
9 done without consideration of security. It was done
10 because consumer choice came in. And enterprise
11 buyers are consumers, too, when you have a dual-use
12 device like the ones we're talking about.

13 MS. GORDON-BYRNE: Okay. I just kind of
14 want to see if we can pull ourselves back from
15 batteries and talk a little bit more generally about
16 repair. Because batteries are really a consumable,
17 and they are -- they determine the lifetime of a
18 product if they are not replaceable. And I think the
19 battery industry could do a heck of a lot better job,
20 or at least the designers of products could do a heck
21 of a lot better job, selecting batteries that are
22 safer to replace.

23 So we're not saying you can't design things
24 that are unsafe, which is apparently common. And it
25 would be nice to know if they are safe. But for

1 goodness sake, at least make them safe enough to
2 remove and replace, because that determines whether or
3 not a \$1,000 product is at end of life in 18 months or
4 a \$600 -- or it doesn't really matter, but as soon as
5 you insert something that has a finite lifetime into a
6 product, that is the end of the product.

7 So I don't see batteries as being a problem
8 for repair. I think it's a design problem. And if
9 federal agencies want to get involved and say, we
10 don't want to have batteries in our consumer products
11 that don't do X, Y, and Z, fine. That doesn't alter
12 the need for repair.

13 Same thing with security. I have yet to see
14 an argument that says that if you open this product
15 and you replace a memory card with another memory
16 card, particularly if the memory card is the same
17 brand as the memory card, that creates a cybersecurity
18 risk for anybody. So I want to live in the world of
19 the practical. I'm dealing with things like
20 refrigerators that have password protection on parts
21 for no reason other than to require a service call.

22 Example, refrigerator has a bad digital
23 thermostat. Customer who's a friend of mine, smart
24 enough, figured out what the part was, ordered the
25 part. Part shows up, puts it in. It says, input

1 password. Calls up GE. They said, we can't give you
2 the password, you have to have a service tech come out
3 and input the password.

4 That's the kind of stuff that's thwarting
5 repair. And I don't think anybody here is seriously
6 thinking that's a problem of batteries or a problem of
7 cybersecurity. That is a problem of the manufacturer
8 trying to monopolize repair because maybe they want
9 the repair revenue or maybe they want the dealerships
10 to have a supporting revenue base so that they can
11 stay in business. But whatever it is, it's not
12 security and it's not safety. It is money. And we
13 have to work on that.

14 (Applause.)

15 MS. TODARO: Gay, do you have any evidence
16 that supports the argument that repairs done by OEMs
17 or authorized repair centers are a profit center of
18 any kind?

19 MS. GORDON-BYRNE: Oh, absolutely. I used
20 to work for OEMS. Our average profit margin on an
21 enterprise repair was 95 percent, which meant that if
22 a competitor were to come in and say, I could do 50
23 percent off, the customer was like, wow, how can you
24 possibly do that? And everybody in the back is going
25 [snickering]. Of course.

1 The cost of parts is negligible. It's all
2 cost of labor. And if you can have competition for
3 repair, just like you do with cars, a manufacturer's
4 labor rate could be \$800 an hour, as was -- Tufts
5 University told us.

6 DR. MCGRAW: By the way, that's beginning to
7 change now. I have one of those new cars that has
8 more computers than car parts, and getting that thing
9 repaired is a pain in the ass.

10 MS. GORDON-BYRNE: Yeah.

11 DR. MCGRAW: We tried to get a windshield
12 replaced. Nope.

13 MS. GORDON-BYRNE: Yeah. So there's a lot
14 of -- competition will make everything better. You'll
15 either get better service, better availability,
16 possibly lower costs, not necessarily. Cost is just
17 one of many elements. But, right now, we're being
18 blocked from having any of those choices as consumers
19 and we're being told we're going to hurt the
20 manufacturer.

21 We're not hurting the manufacturer, folks,
22 when we repair our stuff. It's our stuff. We bought
23 it. They've already been paid for all of their IP.
24 They've been paid for all of their R&D. Their
25 investors have been rewarded or not. And there's no

1 reason that they have to then monopolize repair in
2 order to get more money, because that's a tying
3 agreement, which we're not supposed to have.

4 So let's get away from this whole battery
5 thing and this whole security thing and focus on
6 things have to get fixed. And we can't fix them now
7 because we're being told we can't buy the parts, we
8 can't buy the tools, we can't get the diagnostics, we
9 can't get the manuals, and, oh, by the way, we're
10 going to sell you things that are unsafe and they're
11 going to blow up, and, therefore, you shouldn't be
12 allowed to fix them. I find this absolutely
13 ludicrous.

14 The cure for unsafe products is more repair.
15 The cure for getting rid of faulty parts is more
16 repair, not less. If you have something -- like the
17 famous Samsung exploding Galaxy, they designed that
18 battery with such poor tolerance it went off in flames
19 by itself. Had they made that battery designed so
20 that the battery was replaceable, it wouldn't have
21 been a \$7 billion loss. They would have recalled the
22 batteries, popped in the new batteries. Things would
23 have been fine. It's just the money. It's just the
24 money.

25 MS. TODARO: Dr. Crane, do you agree that

1 there are certain types of repairs that could be made
2 without compromising a product's security?

3 DR. CRANE: Well, yeah, I think we already
4 covered that. But since you've given me the mic, I
5 need to say here, I'm a security guy, so I don't
6 understand --

7 DR. MCGRAW: I also have a mic, so I'm a
8 better security guy that can use my mic.

9 (Laughter.)

10 DR. CRANE: Yeah, but I spoke first.

11 So I do not want to dismiss security or
12 safety from this conversation. And it's important to
13 keep it part of it. I'm excited that we're able to
14 have a conversation about security outside of our
15 little nerd world of security wonks. So please don't
16 dismiss it.

17 MS. GORDON-BYRNE: How about an example?

18 DR. CRANE: It's important.

19 MS. GORDON-BYRNE: How about an example on
20 an iPhone? How does a consumer -- how does Theresa
21 repairing an iPhone create a security problem?

22 DR. CRANE: So you actually led to that when
23 you said if you open a product and you change the
24 memory card and it's the same model memory card, how
25 does that cause an issue? And the issue, while you've

1 got one instance there, which -- ignoring the fact
2 that you would have to validate if that really was the
3 same model memory card --

4 MS. GORDON-BYRNE: Let's say you bought it
5 from Apple.

6 DR. CRANE: -- and not just one where they
7 had scratched off, because I had to deal with this
8 before with counterfeit.

9 MS. GORDON-BYRNE: No, but let's say you
10 knew --

11 DR. CRANE: Hold on. Let me finish. Where
12 you had to scratch off the manufacturer and you write
13 in a new manufacturer. Now, you're dealing with
14 counterfeit parts. I mean, I had to deal with these
15 before. And so you have to then do validation and
16 testing and verify that this really -- you know,
17 because there might be a serial number embedded in the
18 silicon to be able to get to that level. So all that
19 is a higher level of due diligence that needs to
20 happen during the repair process to get it back to the
21 point where there actually was a concern.

22 And if you don't do all that, if you just
23 have to go with whatever part you can get your hand
24 on, you're putting an unknown into your trusted
25 environment. And that's where the security issue

1 shows up.

2 MS. GORDON-BYRNE: So if the product has a
3 part replaced and it executes all the manufactured
4 diagnostics, what's wrong?

5 DR. CRANE: I think I just covered that,
6 right?

7 MS. GORDON-BYRNE: No, if the part isn't an
8 authentic part and it still works fine and it executes
9 all the manufactured diagnostics, what's wrong?

10 DR. CRANE: Because when you -- we've all
11 taken our car in before and had them run a diagnostic
12 and they can't find the noise while it's in the shop.
13 So you have to drive it down the road and, all of a
14 sudden, the problem comes back and you bring it back.

15 MS. GORDON-BYRNE: We're just talking
16 electronics right here.

17 DR. CRANE: Just because it runs the
18 diagnostic at that point doesn't mean that something
19 else doesn't happen later with a failure or something
20 else.

21 MS. GORDON-BYRNE: Okay. So the standard
22 for the billions and billions of dollars that have
23 been traded in used equipment around the world since
24 the beginning of the computer industry has always been
25 it runs manufacturer's diagnostics. If you buy a \$10

1 million IBM mainframe in London and you ship it here
2 and you turn it on and it runs IBM diagnostics, IBM
3 puts it on maintenance, perfectly good product, what's
4 different? If it runs diagnostics, it runs
5 diagnostics.

6 DR. CRANE: Are you running it continuously?

7 MS. GORDON-BYRNE: No. There's a whole
8 process in repair --

9 DR. CRANE: Are you continuously monitoring
10 to make sure that the device is still operating with
11 the same security parameters, that the certificate
12 hasn't been compromised?

13 MS. GORDON-BYRNE: But this is hardware.

14 DR. CRANE: I mean, in security, we do it
15 all the time.

16 MS. TODARO: This is not a security
17 certificate.

18 DR. CRANE: It's continuous monitoring. We
19 continuously --

20 MS. GORDON-BYRNE: Okay, but that's
21 software.

22 DR. CRANE: -- monitor for security
23 requirements.

24 MS. GORDON-BYRNE: But that's software.
25 We're talking about a hardware repair, a defined,

1 discrete event.

2 DR. CRANE: No, it's because software embeds
3 in the hardware -- software embeds in hardware. So
4 we're always looking to see if a certificate has been
5 recalled because it's been compromised.

6 DR. MCGRAW: Wait, is that kind of like --

7 MS. GORDON-BYRNE: Hold on, this is crazy.

8 DR. MCGRAW: Is that kind of like pancake
9 mix has flour in it, so if you're the flour seller,
10 you should own the pancake mix market?

11 DR. CRANE: No.

12 DR. MCGRAW: Okay.

13 DR. CRANE: Yeah.

14 MS. GORDON-BYRNE: All right.

15 DR. MCGRAW: That's the monopoly market.

16 MS. GORDON-BYRNE: I'm finding this insane.

17 MS. TODARO: Excuse my ignorance, but if
18 there are certain repairs that can be made that don't
19 compromise security, but those don't necessarily --
20 those aren't necessarily hardware repairs, what types
21 of repairs could be made that wouldn't compromise
22 security?

23 DR. CRANE: Now we're getting to some great
24 -- where there needs to be some more security research
25 done.

1 DR. MCGRAW: The answer is it depends on the
2 design. And if we allow the people who control those
3 design decisions to also control the right to repair,
4 then we have the wrong people controlling all of the
5 variables.

6 (Applause.)

7 MR. KERCHNER: You've got a lot of fans
8 here, don't you?

9 DR. MCGRAW: Yeah, I hired them. You should
10 see Twitter, man.

11 MS. GORDON-BYRNE: I'm not good at keeping
12 my temper.

13 MS. TODARO: We talked a little bit earlier
14 about consumers making a choice at the time of
15 purchase, whether or not they're aware of the fact
16 that a product would be particularly repairable. What
17 type of information would consumers need to have at
18 the time of purchase? And is anyone on the panel
19 aware of specific products currently that do make that
20 information available?

21 DR. MCGRAW: I think you can start it out
22 the other way, like can't be repaired. If it can't be
23 repaired, it should say, can't be repaired. And then
24 we'll do the other thing later.

25 MS. TODARO: But would it be certain aspects

1 of the product couldn't be repaired? I mean, are
2 there limits on --

3 DR. MCGRAW: There are certain products now
4 that my --

5 MS. TODARO: -- the disclosures that would
6 need to be --

7 DR. MCGRAW: -- understanding is they can't
8 be repaired, like the whole damn thing. So can't be
9 repaired. Just if the whole thing can't be repaired,
10 you have to say so. And then we'll see if that gets
11 us anything. Yeah.

12 MS. GORDON-BYRNE: Chances are that if it's
13 been manufactured and it's not glued together, it can
14 be repaired. It's a question of access to parts and
15 also time. Because you can repair a lot of things
16 that nobody wants you to repair if you're diligent and
17 you have a multimeter and an oscilloscope and a whole
18 lot of time on your hands. You can figure it out.
19 But it doesn't -- consumers wouldn't do that.

20 DR. MCGRAW: I mean, security's always had
21 the same problem. It's a really good question and no
22 one knows what the answer is. Because you see things
23 like military grade cryptography.

24 DR. CRANE: Right.

25 DR. MCGRAW: To this day, I don't even know

1 what the hell that means. That is a meaningless
2 statement. But some people think that that's a
3 requirement and they even put it in the procurement
4 stuff.

5 DR. CRANE: It goes back to marketing. So I
6 do want to share, though, I like it from the snark
7 side of it, but I do want to highlight the Government
8 has put out good security standards from NIST and NSA
9 and some of the crypto standards that they've had.
10 And the more that we can have manufacturers follow
11 that -- and the good ones do -- to build better
12 security into their devices based on those open
13 standards and security patterns, it helps protect all
14 of us.

15 DR. MCGRAW: Here, here. Excellent. But
16 that's not a government mandate.

17 DR. CRANE: No, that is not a government
18 mandate.

19 DR. MCGRAW: Just to be clear, it's really
20 not.

21 DR. CRANE: Or legislation. It is voluntary
22 to adopt those, absolutely right.

23 MS. TODARO: Gay, are you aware of any
24 evidence that consumers research the repairability of
25 devices at the time of purchase?

1 MS. GORDON-BYRNE: I think you might want to
2 ask Kyle Wiens in the next panel about that, because
3 he does rate products for repairability on his
4 website.

5 MS. TODARO: And a followup to that
6 question. We've heard anecdotally that consumers may
7 care about this issue. Do you have any research that
8 suggests that consumers do care about the
9 repairability at the time of purchase?

10 MS. GORDON-BYRNE: Yes, and the answer is is
11 that when we started asking consumers to write their
12 legislators in support of right to repair, we've had
13 over 80,000 of them write their legislators in support
14 of right to repair, and only in those states where
15 we've actually had bills moving. So in New York, it's
16 over 30,000. And they write letters. They write
17 whole letters saying, I can't fix this and I couldn't
18 fix that, and my mother is this. They're very
19 poignant. Consumers really do want to fix their
20 stuff.

21 But I can't tell you that we had any kind of
22 non-response survey, because we didn't approach it
23 that way.

24 MS. TODARO: Is there any way for a consumer
25 who brings their product to a third-party repair shop

1 to know whether or not that third party -- to vet that
2 third party, I guess, to know if they have the
3 expertise to fix a particular device?

4 MS. GORDON-BYRNE: There's no formal way.
5 It's exactly the same process you'd go through in
6 hiring a plumber or an electrician or a car repair guy
7 or a babysitter. You look for reviews. You ask for
8 recommendations. You know, there's so many online
9 review sites now, it's hard to say that consumers
10 don't have those tools. But in most states, there's
11 no legislation -- there's no licensing process.
12 There's no certification process.

13 All your certifications are either industry
14 certifications that are created by the manufacturer as
15 a testing program for their employees or their
16 extended programs, or they may be some of these
17 low-level certifications that kids get in high school,
18 like the CompTIA A+ certification. There's no
19 national one way to do any of this stuff. So it does
20 fall on the consumer to use their own due diligence.

21 MS. TODARO: Did you have a thought?

22 MR. KERCHNER: Yeah. I mean, it's a great
23 question. But, again, that's the reason why our
24 members have these authorized repair facilities. The
25 consumer knows that if they're at the authorized

1 facility, the employees in there, the engineers, the
2 technicians or whatever have been trained on how to
3 properly repair that \$500,000, \$2,000 device that the
4 consumer wants repaired. So, again, that's the
5 benefit of those authorized repair facilities.

6 DR. MCGRAW: So when cars become electric,
7 because I think that's happening, are there going to
8 be only authorized car repair dealers because of the
9 battery?

10 MR. KERCHNER: Well, there are specific
11 garages now, absolutely, that can only repair that
12 battery if that's what needs to be repaired,
13 certainly.

14 DR. MCGRAW: What about the rest of it?

15 MR. KERCHNER: What about the rest of it?

16 DR. MCGRAW: That was the question. If you
17 don't have a battery problem, but you have a car
18 problem in your electric car --

19 MR. KERCHNER: So again--

20 DR. MCGRAW: -- isn't it too dangerous to --

21 MR. KERCHNER: So if I have a General Motors
22 Volt or a Bolt, whatever, I'm going to go into a GM
23 garage that has that ability to repair that particular
24 product, whether it's the battery or whether it's the
25 electronics in that car that helps operate -- that

1 connects with that battery.

2 DR. MCGRAW: So all the car guys are SOL?

3 MR. KERCHNER: Well, no. I mean, if they
4 get the proper training, they're going to be able to
5 fix those cars, just like they have over all these
6 years. All those guys that work in those garages for
7 the last --

8 DR. MCGRAW: Not the ones who work for
9 whatever, Corporation X, the ones who repair cars,
10 like say in Vermont.

11 MR. KERCHNER: What's the question?

12 DR. MCGRAW: They're SOL? Is that right?

13 MR. KERCHNER: The guys in the garages?

14 DR. MCGRAW: Yeah.

15 MR. KERCHNER: Well, if they have the proper
16 training, they can certainly fix the cars, certainly.

17 DR. MCGRAW: Well, if they get the parts,
18 right?

19 MR. KERCHNER: At, again, authorized service
20 centers.

21 DR. MCGRAW: The prosecution rests.

22 MS. TODARO: Sounds like (inaudible)

23 (Laughter.)

24 MS. GORDON-BYRNE: The authorized network is
25 a marketing advantage, absolutely, a marketing

1 advantage for the manufacturers. They are not going
2 to suddenly go out of the repair business, by no
3 means. Back before 2000, when repair was widely,
4 widely competitive and available in the computer
5 industry, the manufacturers, even with these huge
6 discounts, were still getting 85 percent of the
7 business.

8 So right to repair allows for competition.
9 It doesn't guarantee anyone will win. It doesn't
10 guarantee that a lousy repair shop will stay in
11 business and it doesn't mean that a lousy dealership
12 will stay in business. It just means opportunity.

13 MS. TODARO: We've talked about some of the
14 security and safety risks associated with or
15 potentially associated with third-party repair, but
16 aren't those risks still present if you have an
17 authorized repair provider making the --

18 MS. GORDON-BYRNE: Yeah, absolutely.

19 MS. TODARO: -- repairs?

20 MS. GORDON-BYRNE: If a product is made so
21 that it's dangerous to repair, it's just as dangerous
22 for an authorized tech to repair it as anybody else,
23 which is why there's things called recalls. There's a
24 lot of electronics that get recalled from time to
25 time, primarily power supplies and power cords because

1 that's where the most risk is. Almost all of your
2 electronics are transformed low voltage, and so it's
3 very hard to actually hurt yourself once it's detached
4 from live voltage.

5 So the necessity of -- HP recalled 6 million
6 power cords not long ago and it wasn't because they
7 wanted to. They had a flaw. And it wasn't a big
8 deal. They just replaced all the power cords. It's
9 not unusual for these things to happen. But they are
10 called recalls.

11 MS. TODARO: George, you have any followup?

12 MR. KERCHNER: No.

13 MS. TODARO: In terms of connected devices,
14 are the security risks greater when you have a
15 connected device? And if so, can you elaborate? I
16 guess this goes to Dr. Crane and Dr. McGraw.

17 DR. MCGRAW: You want to go first?

18 DR. CRANE: Sure.

19 MS. TODARO: Can you elaborate on that?

20 DR. CRANE: I don't have the cute quips that
21 you always keep coming up with. Very clever.

22 DR. MCGRAW: That's okay. I'll sell you
23 one.

24 DR. CRANE: I'll take it.

25 (Laughter.)

1 DR. MCGRAW: I just used it, though.

2 DR. CRANE: I'll take used ones. So today,
3 it sucks, right? I mean, so really, we need to talk
4 about today and then tomorrow. We have some
5 manufacturers who have better security processes
6 than others. And they're the ones that consumers
7 really are drawn to. We then have a whole lot of
8 manufacturers that aren't there because it costs money
9 to do good security. We see that problem all the time
10 with everything from flaws in IoT devices, invasions
11 of privacy, botnet proliferation going through smart
12 devices. But the risk is that as we adopt those smart
13 devices into our lives more, security needs to come
14 along with it.

15 And if security isn't built into the design
16 process or if it's made as a trade-off so that we can
17 have more open access to the device, that's something
18 that's going to cause -- it could have an increased
19 risk than if we weren't just to be able to hold better
20 security, engineering, and design principles.

21 DR. MCGRAW: Yeah, I think that's exactly
22 right. The problem is when you connect something to
23 the internet, you connect it to -- it's just like
24 putting it out there in the street. So stuff can
25 arrive. It can be bad stuff. People can do bad

1 things. They can hit your thing with a hammer. They
2 can do all sorts of bad things to your device because
3 you put it on the internet.

4 But we're rushing to put a bunch of stuff on
5 the internet. And as Earl said, sometimes people
6 don't care about security, so they might just ship an
7 IoT light bulb that has a username and password that
8 are admin/admin and everybody knows. And all of a
9 sudden, you get the Mirai botnet out of that.
10 So the challenge, though, is that once we're
11 connected, maybe we can actually fix some of those
12 security problems, too.

13 So back in the old days, we used to worry
14 about patching software. But we've come to realize
15 that we can't build perfect software, even if
16 everybody reads my books, which I hope everybody does.
17 The problem is that it's very hard to do, and so
18 unanticipated things happen. The threat landscape
19 changes. All the things you said about continuous
20 monitoring are right on the money. The issue is we've
21 got to be able to get to that device to fix it, to
22 repair it, even if you're the manufacturer and you
23 want to repair it. A patch is a repair that comes
24 from the manufacturer of that software.

25 DR. CRANE: Yeah.

1 DR. MCGRAW: And so those mechanisms already
2 need to be in place, in some sense, for software to be
3 patched when we have internet connectivity. So
4 internet connectivity is a double-edged sword. It's
5 like a security disaster and it's also our only
6 security hope.

7 DR. CRANE: Yeah. I would love to see the
8 FTC -- rather than trying to look at issues kind of
9 just like from a restriction standpoint, how could we
10 encourage better security in our connected devices?
11 And if we could start making it more aware so that
12 consumers can make a more informed decision about
13 security and giving them that choice would help all of
14 us, especially as our neighbors all get
15 internet-connected devices.

16 DR. MCGRAW: That's exactly right.

17 MS. GORDON-BYRNE: Yeah. One of the
18 distortions we see in the repair marketplace -- and I
19 think it's increasing -- is the number of
20 manufacturers -- again, because repair has a very
21 lucrative aspect -- is the increased number of links
22 to getting the software patches and fixes that belong
23 for security as a condition of allowing a hardware
24 repair. So they've linked two pretty different things
25 in terms of skill sets.

1 You've got a hardware tech like Theresa
2 that's going to open stuff up and make physical
3 repairs, but if she can't do that because there's some
4 software certificate that she doesn't have or the user
5 can't get, then the device isn't getting updated and
6 the consumer's not getting a repair. So these things
7 are blocking each other, too.

8 DR. MCGRAW: Yeah, so that's bad design.

9 DR. CRANE: That's bad design

10 MS. GORDON-BYRNE: I agree. It's totally --

11 DR. CRANE: That is not an issue of repair,
12 though.

13 MS. GORDON-BYRNE: No.

14 DR. CRANE: That is an issue of the
15 engineering and the market.

16 MS. GORDON-BYRNE: Yes, very much of the
17 market.

18 DR. CRANE: I'm glad you brought this up,
19 because kind of one of my favorite examples -- you
20 would be surprised how many instances of Windows XP
21 are still out there and still running critical
22 systems, critical ICS systems.

23 DR. MCGRAW: ATMs.

24 DR. CRANE: Yeah.

25 MS. GORDON-BYRNE: COBOL.

1 DR. CRANE: I've got hacked into a few of
2 those by the bank. So this is an issue that's not
3 unique to repair. It's an issue that's unique to all
4 of us needing to improve security so that we have --
5 so that we're able to build good software, deploy good
6 software, and put security out there to be paramount.
7 But the important takeaway is that that's not unique
8 to repair -- I'm repeating myself -- not unique to
9 repair and doesn't need to be driven by any
10 legislation around repair. That gets really to having
11 better security and putting security first in the
12 marketplace.

13 MS. GORDON-BYRNE: We agree. Stunning.

14 MR. KERCHNER: First time.

15 MS. TODARO: A question from the audience
16 about IoT devices. Dr. Crane and Dr. McGraw, do you
17 think consumers should have access to internet off
18 switches for connected devices in the event that
19 there --

20 MR. KERCHNER: Run, Earl, run.

21 DR. CRANE: I was going to say I want you
22 to --

23 MS. TODARO: In the event that there is a
24 vulnerability or compromise.

25 DR. CRANE: I'll let you answer this one

1 first. Go ahead.

2 DR. MCGRAW: So if you have wireless at your
3 house, you probably have an ISP. So here's a wire
4 that comes in and you can unplug it. Internet off.

5 MS. GORDON-BYRNE: There you go. Good
6 point.

7 DR. MCGRAW: So that. Is that what you
8 mean? Who asked that?

9 DR. CRANE: Don't call them out. Don't call
10 them out. I don't want them to -- you can talk to us
11 afterwards. Happy to.

12 DR. MCGRAW: So the problem is that these
13 Internet of Things devices are invading the consumer
14 space. We used to do stuff like buy a light bulb and
15 now we get a smart light bulb that you have an app.
16 It takes, like, an hour and a half to get the light
17 bulb to turn on. And you have to, like, watch a
18 YouTube video of some kid, and you're like, oh, that's
19 how. I just did that, really. It's totally
20 ridiculous. And we expect them to be for normals, for
21 normal people, not geeks like me.

22 DR. CRANE: How many security people does it
23 take to screw in a light bulb?

24 DR. MCGRAW: Yeah. It's like way more than
25 it used to. So that's a real challenge. And security

1 is not something that's kept in mind and neither is
2 repairability. In fact, one of the biggest issues is
3 just getting the damn thing to work at all out of the
4 box. I'm serious about this.

5 I've played with a bunch of IoT things at a
6 facility I've got, and it's just -- I'm glad I have a
7 PhD in computer science and built computers for a few
8 years, like you, and code. But that's not a consumer
9 device really, yet.

10 DR. CRANE: So just to add a little bit
11 more, there is no such thing as an internet off
12 switch. You can't have an internet off switch. We're
13 too connected. This was a question that came up all
14 the time at the White House.

15 DR. MCGRAW: You can unplug at your
16 house.

17 DR. CRANE: You can unplug at your house,
18 but do that for a power grid, right? We had this
19 discussion a lot at the White House when we were
20 working on all of our national security policy
21 elements and how can we help protect the nation. And
22 every so often, the idea of an internet off switch
23 would come up to say, well, if I unplug it, then no
24 bad things can get to it, right?

25 But as we discussed earlier, we have to

1 continuously always be monitoring these devices and
2 providing patches and updates and configuration. And
3 the IoT devices aren't static. They are always
4 dynamic and always changing. That's why they're
5 internet-connected. And so what we need is to be able
6 to have security built into that ecosystem, which is
7 the core of what we've been pushing manufacturers to
8 build into and improve. And anything that kind of
9 stops that, I'd say, is a bad thing.

10 DR. MCGRAW: I'm not sure why we're talking
11 about that.

12 MS. TODARO: I guess as a possible solution.
13 So if a consumer experienced a vulnerability or a
14 compromise because their device was repaired and
15 compromised in some way, is there a way that they can
16 just --

17 DR. MCGRAW: Throw it out.

18 MS. TODARO: -- disconnect?

19 DR. MCGRAW: Yeah, smash it.

20 MR. KERCHNER: Recycle it.

21 DR. CRANE: Right, recycle it.

22 DR. MCGRAW: Don't smash it. Not yet.

23 MS. GORDON-BYRNE: I disagree that the
24 premise is that the repair caused the vulnerability.

25 DR. MCGRAW: Yeah, that's an interesting

1 premise.

2 MS. GORDON-BYRNE: I start not liking that
3 premise because I don't see how it happens. I see
4 software -- all of the networking, all of the internet
5 connectivity is fundamentally software. There's very
6 few things that are on the hardware platform that are
7 -- in the consumer level -- I'm not talking enterprise
8 -- that are going to create a vulnerability other than
9 by accidentally downloading some lousy piece of
10 software, which, again, is software. So I just don't
11 agree with the premise.

12 MS. TODARO: Any followup?

13 MR. KERCHNER: Definitely not from me.

14 (Laughter.)

15 DR. MCGRAW: You can't download batteries
16 yet.

17 MR. KERCHNER: No. Just wait.

18 DR. CRANE: They'll start beaming energy,
19 wireless energy.

20 MR. KERCHNER: Wireless energy.

21 DR. MCGRAW: Yeah. Just don't stand between
22 (inaudible).

23 MS. TODARO: One question that I want to ask
24 on the physical safety of certain repairs is years ago
25 cars were repaired by independent repair shops or by

1 individuals in their driveway --

2 MS. GORDON-BYRNE: They still are.

3 MS. TODARO: And they still are.

4 (Laughter.)

5 DR. MCGRAW: You don't drive, do you?

6 (Laughter.)

7 MS. TODARO: I certainly don't fix my
8 car. So is the conversation shifting now because
9 we think that products are more dangerous than cars
10 have been or do we just think that certain products
11 that are used in devices today are more dangerous so
12 we need to take repair out of the hands of consumers
13 and -- or an argument is made that we need to take
14 the repair out of the hands of consumers or third
15 parties?

16 MS. GORDON-BYRNE: I definitely want to
17 speak to that because the safety question is raised
18 constantly in legislative settings where various
19 opponents come forward and say, oh, consumers are
20 going to be unsafe. And I'm like, how can that -- if
21 you're willing to drive a car and accept all the
22 safety risks of driving, the idea that you could hurt
23 yourself while repairing a non-line voltage product is
24 pretty out there. Everything in your car is way more
25 dangerous in use than it is any piece of electronics

1 in use or under repair.

2 So I regard that as a stall tactic or a
3 "let's see if we can scare the legislators so they
4 don't want to let anybody fix their stuff." And as
5 soon as they realize that, oh, yeah, taking an
6 alternator out of a car and putting it up on a hoist
7 and dropping it on my foot is pretty dangerous, but
8 it's a hell of a lot less dangerous to open up the
9 back of a computer and put in a new motherboard or a
10 new screen. So the relative danger I think it's very
11 much of an excuse.

12 MS. TODARO: George?

13 MR. KERCHNER: Yeah. That one, I'll have to
14 chime in on.

15 So I think your question is, are products
16 more dangerous? I think the short answer to that is
17 yes, absolutely. So I'm old enough, unfortunately, to
18 remember when phones were powered by nickel cadmium
19 batteries. Nickel cadmium, you know, no flammable
20 electrolytes in there. They're not regulated as a
21 hazardous material by the Department of
22 Transportation. But as soon as that switch from
23 nickel cadmium to lithium-ion, you now have a battery
24 that has a flammable organic solvent in there. It's a
25 regulated --

1 MS. GORDON-BYRNE: What about lead acid
2 batteries?

3 MR. KERCHNER: It's a regulated hazardous
4 material by the Department of Transportation
5 international standards. And, yes, the short answer
6 is it is a more dangerous product than 25 years ago
7 when these phones were powered by nickel cadmium
8 batteries.

9 DR. MCGRAW: Coming to cars soon.

10 MS. GORDON-BYRNE: They are in cars.

11 MR. KERCHNER: And you as a consumer have
12 the choice of whether you want electric vehicle,
13 hybrid electric vehicle, or that flammable gas-powered
14 vehicle we've all been driving safely for, what, 100
15 years.

16 DR. MCGRAW: I want a horse.

17 DR. CRANE: They bite.

18 MS. TODARO: Well, I want to thank all of my
19 panelists today. I think this was a very lively and
20 informative discussion. So I very much appreciate it.
21 So if everyone can give them a round of applause.

22 (Applause.)

23 MS. TODARO: We are now going to take a 15-
24 minute break and we'll concluded with Panel 3.

25 Just as a reminder, the cafeteria is closed,

1 and if you leave the building, you'll have to go back
2 through security. Thank you.

3 (Break.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 PANEL 3: WHAT'S THE FIX?

2 MR. SALSBURG: Could you please take your
3 seats? We're going to get started in about a minute.

4 (Pause.)

5 MR. SALSBURG: Good afternoon and welcome
6 back to Nixing the Fix, the FTC's workshop on
7 manufacturers' repair restrictions.

8 I'm Dan Salsburg from the FTC's Office of
9 Technology Research and Investigation. A reminder,
10 please turn off your cell phones. Do not try to take
11 out the batteries though here, apparently. We want to
12 avoid that.

13 (Laughter.)

14 MR. SALSBURG: But if you could silence them
15 in some other way, that would be great.

16 If you have questions, please write them on
17 a card like this. The cards are available outside or
18 from one of the FTC staff that are circulating. And
19 you can just give it to the FTC staff if you have a
20 question. And we will try to ask some of these. If
21 not, I can assure you that the FTC staff reads all the
22 questions that are submitted and they often are very
23 helpful for us understanding the ideas that people
24 have about what they're hearing.

25 So for our third and final panel of the day,

1 we'll be discussing possible industry and legislative
2 approaches for ensuring consumer choice in repair
3 markets. I am joined by Minnesota State Senator David
4 Osmeck to my left; on Skype, who you can see on the big
5 screens here, Vermont State Senator Chris Pearson;
6 Aaron Lowe, who is the senior vice president of
7 regulatory and government affairs for the Auto Care
8 Association; Sarah Faye Pierce, the director of
9 government relations for the Association of Home
10 Appliance Manufacturers; and Kyle Wiens, the
11 co-founder of iFixit, the repair community known for
12 open source repair manuals and product tear-downs.

13 We're going to start by having each of our
14 panelists give a three-minute statement. I know this
15 is a little bit less -- a little shorter time than our
16 previous panelists, so hopefully you don't feel like
17 you're being a little bit ripped off here. But we
18 want to just have a brief statement and then get
19 straight into the questioning and discussion.

20 MR. LOWE: Is there someone we can protest
21 to?

22 MR. SALSBERG: You can submit a comment card
23 and I assure you we'll read it.

24 State Senator David Osmeck, would you like to
25 begin?

1 STATE SENATOR OSMEK: Sure. And for
2 politicians, limiting us to three minutes actually
3 might be a good idea. So just to let you know, thank
4 you folks for importing this wonderful warm weather.
5 If you want to know what it feels like to be a snowman
6 in June, I can tell you what it is right now. We are
7 in the process of continuing to do our legislative
8 research and working on legislative -- or
9 legislatively digital right to repair or the fix-it
10 laws.

11 We have gotten some traction. We have
12 gotten some movement. I actually can read, for those
13 who want to, the two paragraphs that actually are
14 Minnesota's right to repair law. And as Gay sort of
15 gently said no to, it really is very specific to, we
16 just want to be treated equally. And I can read it if
17 you're interested.

18 But I did come up with one solution, maybe.
19 Of course, asking a government official for a solution
20 might not be a good idea in this town because they
21 don't come up with any of them, it seems like.
22 However, for our friends in the FTC, why not create a
23 repair score? And we put stickers and scores and
24 everything on every piece of equipment. Go look at a
25 pop can. You get to see what every chemical is you're

1 drinking.

2 Why not say, if you're manufacturing a
3 digital piece or an electronic piece in the United
4 States that you can -- you need to look at the top 20
5 repairable items that you have to do. And one of them
6 for a cell phone would be battery replacement. Why
7 don't you, say, take the top 20 issues that any
8 electronic has and create a score that says, of that
9 number, 70 percent or whatever the percent is
10 repairable. So it's going to tell the consumer right
11 away -- and I wish this thing would stop chirping at
12 me. You can tell the consumer right away and they can
13 make the decision on what they want in a device. If
14 they want to have a repairable device, they will look
15 for a high repairable score.

16 And then not only put on there, let's say,
17 70 percent is repairable, then you put another number,
18 slash 20. Of that 70 percent, or of the repairable
19 items, the top 20 repairable items, 20 percent of them
20 are ones you can fix. So that will also tell the
21 consumer, hey, you can repair a lot of stuff on this
22 thing, so if it goes bad, but you can also fix a
23 certain portion of it yourself. You know, let the
24 consumers make a decision.

25 Minnesota has sent you a guy named Al

1 Franken and recently sent you somebody called Ilhan
2 Omar, active Socialists as far as I'm concerned. If
3 you look at my legislative career and you look at what
4 people in my state say about me, I'm one of the most
5 conservative people that you're going to find. Hard
6 to believe Minnesota has any, but there are a few of
7 us. But we actually believe in consumers making the
8 choice, and I'll talk maybe more about that as we go
9 along.

10 But for the Federal Trade Commission or some
11 other enterprising congressman or senator in the room,
12 which there aren't any, why not create a repairable
13 score to let the consumer make the choice. And you
14 know what's going to happen? You're going to drive
15 people to the devices and drive the industry in the
16 direction you're going without forcing them to do it
17 by a legislative mandate. So thank you.

18 MR. SALSBERG: Thank you, Senator Osmeck.

19 Let's turn to Senator Pearson from Vermont.

20 STATE SENATOR PEARSON: Well, thank you for
21 having me on the panel engaging in this important
22 consumer issue. And I share my colleague's thought
23 that this is not a partisan issue. It brings together
24 fun coalitions.

25 I was the original sponsor of the right to

1 repair bill in Vermont. From that discussion, we
2 developed a task force which spent about six months in
3 late 2018 exploring the issues you've been talking
4 about today. Vermont may well make progress on this,
5 but I would frankly rather see a federal answer. I
6 think consumers everywhere in the country want and
7 deserve these rights. And the industry deserves the
8 certainty of one rule rather than a patchwork of
9 solutions that we cobble together as states because
10 we're trying to fill the void left by a lack of
11 federal action.

12 Just personally, I've owned several iPhones.
13 I've never opened one up, but I've watched skilled
14 people do it. I've had screens replaced with original
15 parts culled from other phones, iPhones, and I've had
16 knockoff parts, and I can tell you there was a huge
17 difference in quality. I also had my camera break
18 once and, according to Apple, nobody in Vermont could
19 fix it. They wanted me to send it to them. But in
20 addition to being a legislator, I run a small
21 consulting business from my phone. So sending them my
22 phone for a week was like evicting me from my office.
23 It was a non-starter.

24 In the end, I set up an appointment at an
25 Apple store when I was traveling out of state, and it

1 was fixed in an hour. You know, the fact is, that's
2 not a realistic option for most Vermonters. We don't
3 have broad access to authorized repair. But
4 Vermonters have a tradition of fixing things and,
5 frankly, wearing them out.

6 And one of the interesting points we heard
7 in our task force was, as I think you've heard today,
8 over 90 percent of repairs to cell phones are screen
9 replacements. We could certainly start there. The
10 next most prevalent repair for smartphones is battery
11 replacement. And I found it curious -- it was
12 repeated today -- the Battery Association is very
13 worried about giving access to authorized parts,
14 saying it will be unsafe for consumers. But they
15 ignore that today, we can get our batteries replaced.
16 And so they are shutting shops out of having the
17 proper battery and creating the very dynamic they tell
18 us we should worry about.

19 Virtually all of the principles we talk
20 about with smartphones apply to appliances like
21 vacuums, refrigerators, TVs, on and on and on. In our
22 task force, we were told by the Appliance Association
23 appliances used to last 30 years. Now they last
24 something like 13. It's, frankly, a problem when you
25 have an \$8 part break on your refrigerator and you

1 toss the whole thing out and go buy a new one for
2 \$1,200 because you can't get that part.

3 To me, the issue here is a balance between
4 manufacturers' rights to innovate and sell products
5 for profit and consumers and our ability to use
6 products as we like. Right now, the equation
7 completely tilts to manufacturers. The system hurts
8 our pocketbooks. It curtails small local businesses.
9 Meanwhile, we fill our recycling plants and landfills,
10 while companies sell us more and more products with an
11 ever-shorter lifespan.

12 The security and safety issues we heard
13 earlier today were similar to what we heard during the
14 task force. And to me, the arguments are largely
15 bogus, and they fall apart. When we think about motor
16 vehicles, I think we would all agree an automobile is
17 one of the more dangerous products that we own and we
18 control. To say that consumers should not be
19 permitted to take electronics to a repair shop is
20 basically insisting that our cars have to be repaired
21 at the dealer.

22 We've rejected this argument as a society,
23 and this has to do with a ton of steel that we're
24 hurtling down the road, you know. We'd be wise to do
25 the same when it comes to lightweight electronics,

1 heavy washing machines, everything in between.

2 I appreciate being here, and I look forward
3 to our discussion today.

4 MR. SALSBURG: Thank you, Senator.

5 And, Aaron Lowe?

6 MR. LOWE: The Auto Care Association
7 represents the independent aftermarket, so company --
8 we're vertically integrated. We represent companies
9 that manufacture, distribute, retail, and install and
10 repair -- install parts and repair vehicles.

11 So about 70 percent of car owners, after
12 their warranty expire, go to the independent repair
13 shops to get their work done because of price,
14 convenience, trust. It's been that way since the
15 invention of the car.

16 In a way, I feel kind of a little, I guess,
17 embarrassed to talk. We have a right to repair law as
18 has been discussed to some point. We had to fight
19 really hard to get it. We started the battle in 2001
20 in Congress and fought really hard against the
21 manufacturers and dealer networks to get it. We were
22 finally successful in Massachusetts, but we had to go
23 to a ballot measure. And if there is any question
24 about consumer support for choice in repair, it was
25 our ballot measure. It passed Massachusetts by an 86

1 percent to 14 percent margin. I mean, nothing passes
2 by that margin in ballot measures or legislation.

3 So in that ballot measure, it required that
4 the same tools, information, software that are made
5 available to dealers have to be made available to the
6 independent aftermarket at a fair and reasonable
7 price. It also required -- and beginning last year --
8 required that all the manufacturers' proprietary tool
9 software had to be maintained in the cloud and then
10 available to an independent shop via subscription --
11 day, month, year -- to download onto a PC and then
12 interact with the vehicle using a standardized
13 interface.

14 So it was all to make it -- to provide more
15 information, better capabilities to the independent
16 shop because the thought was the better the
17 information and tools they have, the better the
18 repairs and better service they're going to provide to
19 the car owner. And it's been hugely successful.
20 There are issues, of course, but it's had a lot of
21 good impacts.

22 But notwithstanding all the benefits to our
23 industry and to consumers, I do want to emphasize that
24 we are not without problems that we're facing. We're
25 still seeing Magnuson-Moss as a big issue. We're

1 seeing owner's manuals, TSPs, we're seeing marketing
2 literature put out by the vehicle manufacturers that
3 really scare the motorist or inform the motorist that
4 they have to get their car repaired in order to
5 maintain their warranty.

6 We're seeing wireless technology take over
7 more and more right now and restrictions on the
8 onboard diagnostic port that are making the vehicle
9 manufacturer more and more the gatekeeper of the data
10 from the vehicle that we need to repair those cars.
11 And then we're seeing more embedded software that's
12 forcing people to only purchase parts from the vehicle
13 manufacturer if they even can get those parts.

14 ADAS, Advanced Driver-Assist Systems, on
15 vehicles, which we all see as a major safety benefit,
16 are also raising the price of repair by a large
17 amount. So that's another issue. And then we're
18 seeing actions taken by manufacturers to limit the
19 availability of parts in the collision industry. So
20 we're seeing a lot of issues that are still facing our
21 industry, and I'm not even talking about some of the
22 problems that the heavy-duty market is facing in
23 commercial vehicles, as well.

24 So I want to thank the FTC for holding this
25 workshop. I think this has been a great workshop so

1 far. I know I've learned a lot. But I hope this
2 isn't the end, and I hope that the FTC will use this
3 as a beginning to talk about some of these really
4 important issues impacting the repair industry.

5 MR. SALSBURG: Thank you, Aaron.

6 And, now, Sarah Faye Pierce?

7 MS. PIERCE: Thank you. Good afternoon, and
8 thank you for the opportunity to provide comments
9 regarding the broad availability of repair options for
10 consumers and to specifically discuss what my work at
11 the state level has made clear. Legislative action on
12 so-called right to repair issues is not needed. Year
13 after year, the states have retreated from moving any
14 right to repair bill past the committee stage.

15 This fact was further documented by a 2018
16 Vermont task force that was created to study whether
17 legislation in this area is needed. And the final
18 report, which I have here, has unequivocally
19 recommended against legislation. My comments today
20 will further illustrate this conclusion.

21 I'd like to first start by saying that I'm
22 not an expert on Magnuson-Moss. Our members are aware
23 of the existence of federal and state obligations and
24 take them seriously. Other than the need recently to
25 respond to state legislative proposals, we do not have

1 discussions within AHAM about warranty terms or other
2 customer service terms and conditions. Those issues
3 are considered competitive, and we leave them to the
4 companies to ascertain their own legal obligations.

5 If consumers choose to attempt to fix their
6 own connected product or hand it over to someone else,
7 that is their prerogative. That does not mean,
8 however, that manufacturers should be forced to hand
9 over proprietary information to anyone with a business
10 license. And in the case of home appliance repair,
11 repair technicians enter the private homes of
12 consumers, which presents additional circumstances
13 that should be given careful consideration.

14 Home appliance manufacturers are
15 continuously innovating in order to make better and
16 more functionally-convenient products for consumers.
17 This includes ensuring that consumers have access to
18 specially trained and certified repair technicians.
19 The people who repair appliances across the United
20 States are mostly the local independent mom-and-pop
21 repair businesses in our cities and towns. In fact,
22 90 percent -- let me repeat that -- 90 percent of
23 repair shops that affiliate with the members of AHAM
24 operate businesses with 10 or fewer employees.

25 Furthermore, AHAM members identified over

1 19,000 authorized servicers, repairers that are
2 available to consumers across the country. In
3 addition, our data shows that manufacturers typically
4 require technicians to have certifications in several
5 areas, state certifications to handle products that
6 use electricity and gas; the EPA 608 certification to
7 handle refrigerant gases for servicing and disposal;
8 background checks, as well as local service or company
9 requirements.

10 Also, constant communication and followup
11 with local servicers is common when service tickets
12 are issued. And this would include the type of
13 service performed, the condition of the appliance,
14 replacement parts used, if applicable, and follow up
15 to ensure that safety and quality standards have been
16 met.

17 Today, there are more than 860 million
18 appliances in use, largely without incident. And 93
19 percent of consumers believe home appliance
20 manufacturers do a good job in providing safe and
21 quality appliances. Safety is the top priority.
22 Product safety, for instance.

23 Authorized servicers are directly trained
24 and tools are provided to, number one, allow
25 technicians to understand the systems included on

1 every model and, two, repair those products
2 appropriately. Most appliance products are required
3 by the National Electric Code, as well as other
4 applicable building mechanical codes, to be listed or
5 certified under applicable North American safety
6 standards like UL for electrical products or CSA for
7 gas products. These safety standards ensure a product
8 and all of its components will operate in a safe and
9 reliable manner.

10 An untrained and uncertified repair person
11 may not understand how to properly repair the product
12 to ensure it continues to meet or exceed the safety
13 standards, particularly, a connected product, which
14 then raises cybersecurity issues. All of this puts
15 consumers in jeopardy. A product that once was safe
16 could be rendered unsafe by an improper repair or
17 unintentional use of a counterfeit part.

18 Property safety, appliance repairs, when not
19 performed correctly, can be the cause of property
20 damage, like fires and flooding. Insurance claims, as
21 well as increases in homeowner's insurance and
22 premiums, could result if the independent third
23 parties improperly perform in-home repairs.

24 And, finally, consumer security, the nature
25 of major appliance repairs requires that repair

1 technicians enter the homes of consumers. In-home
2 safety and security is of paramount importance to
3 appliance manufacturers. Manufacturers who certify
4 technicians require extensive background checks, as
5 well as drug screening and, as previously mentioned,
6 technical and safety training. If manufacturers are
7 required to make all their technical information
8 public knowledge, they decrease their ability to
9 address whether the technicians who are entering the
10 homes of consumers have completed the necessary
11 technical and safety security checks.

12 Thank you very much.

13 MR. SALSBURG: Thank you, Sarah Faye.

14 And, Kyle?

15 MR. WIENS: I thought I'd tell you my story.

16 I went to Cal Poly to study computer science a few
17 years ago, and I had worked as a Apple authorized
18 repair technician at a little Mac shop. I remember I
19 was making \$6.50 an hour. And the iBook that I bought
20 cost \$1,849. So you can do the math and figure out
21 how much time I had invested in that computer. And I
22 was in the dorms, and I dropped it off the bed onto
23 the power supply. And if I held the plug just right,
24 I could get it to work. And I thought, okay, this is
25 fine. I'm just going to Google how to fix this thing,

1 and then I'll be set.

2 And I was naive, and maybe still am, and
3 assumed that because the information existed, it would
4 be on Google, right. This is how this works. And so
5 I Googled around for the service manual and I couldn't
6 find it. And I did a little more research and I still
7 couldn't find it. And so then I did maybe what any
8 engineering student would do and I just started taking
9 it apart. And eventually, I was able to find my way
10 through, but it was rather frustrating. All it took
11 was a little drop of solder on the cracked joint. I
12 put it back together, and it was fine.

13 I did some more research, and my question
14 was, why in the world was the service information not
15 available because I had seen what the authorized world
16 was like, and I knew what the service manual looked
17 like. And it's just step by step, this is how you
18 remove the thing. And I learned that there had
19 actually been several people that had posted that
20 service manual online, but that they had gotten DMCA
21 copyright takedown complaints from Apple saying, we
22 don't want you to share this information.

23 And since then, I learned that that's a
24 trend across the board. You have medical device
25 manufacturers sending takedown notices to biomedical

1 technicians at hospitals saying, do not share this
2 information on how to fix this equipment. And there
3 is a whole host of problems around people just not
4 having access to this.

5 And I said, well, this is crazy. But I
6 already know at least how to fix this one iBook
7 because I took it apart. So I said, let me -- I'll
8 take it apart again. And I'll take pictures and I'll
9 put them online, and we've been doing it ever since.
10 And, now, iFixit is the largest public repair manual
11 ever. I think that Boeing may have some larger
12 service manuals internally, but iFixit is rather
13 large. We help over 10 million people a month learn
14 how to fix things. I'm from California, and in the
15 last 12 months, about 20 percent of Californians
16 accessed iFixit to learn how to fix something. So
17 clearly there is demand.

18 We had some questions in the last panel, is
19 there demand? Are consumers interested in this? And
20 the answer is overwhelmingly yes. We've had millions
21 of people access iFixit instructions just on changing
22 iPhone batteries. Apple has sold something like a
23 billion iOS devices and they have 500 retail stores.
24 Those stores cannot service the market. In the auto
25 world, you said the independent supplies 70 percent of

1 the repairs. I think you're going to find that's the
2 case overwhelmingly in lots of markets.

3 And as I step back and I say, what is the
4 type of America that I want to live in, what's the
5 type of society that we want to have, it's a society
6 where we value repair. Right now, repair jobs are
7 about 3 percent of American employment. Would the
8 country be better if it was double that, if we were
9 fixing things, if we had more jobs here at home?

10 If you look at manufacturing this, yes, we'd
11 like to bring manufacturing back here. But it's only
12 \$4 or \$5 in labor paid to an overseas worker to
13 assemble this product, where Theresa is probably
14 charging \$40 to put a new battery in that phone and
15 then happily employing people in her community.

16 So repair is something that at the aggregate
17 level we need to be encouraging. And I applaud you
18 for hosting this workshop and looking to
19 systematically address and tackle these barriers.
20 Because at a macro level, if we can solve some of
21 these specific technical issues that are getting in
22 the way of the repairs and a system working, we have a
23 real opportunity, I think, to give the economy a shot
24 in the arm.

25 MR. SALSBURG: Thanks, Kyle.

1 So let's turn back the clock to the mid-
2 1970s. Some of you may not have been alive, so I'll
3 tell you what it was like back then. I was quite
4 young. But, apparently, at the time that Congress
5 passed the Magnuson-Moss Warranty Act, there was a
6 real concern over manufacturers tying their warranty
7 coverage to the use of the repair processes of the
8 manufacturer. And that led to the prohibition on
9 untying that's in Mag-Moss.

10 So the first two panels today, we looked at
11 how has the repair market changed and, really, does
12 Magnuson-Moss do an effective job at protecting
13 consumer choice in the repair market. We're going to
14 turn our attention now to look at whether the law
15 needs to be changed and, also, are there other things
16 short of a law change that industry can do
17 voluntarily. And let's begin by looking at industry
18 initiatives.

19 Sarah Faye Pierce, you've explained that the
20 repair market for home appliances is already really
21 competitive. I think you mentioned that there are
22 19,000 home appliance repairers in the United States.

23 MS. PIERCE: Correct.

24 MS. SALSBURG: Can you tell us more about
25 this market? Are repair shops typically -- they do it

1 for one manufacturer or are they authorized repairers
2 for multiple ones?

3 MS. PIERCE: Sure, and perhaps we did have
4 slides.

5 MR. SALSBURG: Do you want -- would you like
6 to put your slides up?

7 MS. PIERCE: We were sitting down, and so I
8 didn't grab the clicker. But if you could --

9 MR. SALSBURG: You can grab it now, if you'd
10 like to just put your slides up if that would be
11 helpful.

12 MS. PIERCE: Oh, yeah. I just thought we
13 could flip it back a couple, but I'll just grab it
14 really quick.

15 Okay, so here this slide depicts on the
16 screen the availability of independent authorized
17 repair technicians for home appliances in America.
18 This represents the 19,000 number that I shared with
19 you. There is a subset of those that are actually an
20 in-network authorized repairer, which is distinguished
21 from the independent mom-and-pops, right. So that
22 only makes up about 20 percent of that 19,000. So
23 we're looking at 17,000 independent small businesses
24 that have an affiliation with our manufacturers.

25 And what those independents have the ability

1 to do is to go through a certification process with
2 the manufacturer. And they have to take a number of
3 steps, as I articulated in my opening remarks, to
4 affiliate and then make sure that their technicians
5 have the proper training and certifications to safely
6 and properly conduct repairs on appliances.

7 MR. SALSBURG: So how expensive is it for an
8 independent repair shop to get affiliated with a
9 manufacturer?

10 MS. PIERCE: Price is a conversation we do
11 not have at AHAM on any matter.

12 MR. SALSBURG: Okay. Senator Pearson, let
13 me turn to you. Recently, Apple announced that it was
14 expanding its authorized repair services to include
15 every Best Buy in the country. Thinking about that
16 and also this graphic that I don't know if you can see
17 -- but the graphic that Sarah Faye Pierce put up,
18 which shows lots of green dots all over America of
19 repair shops -- is having authorized repair shops
20 available for folks in Vermont, is that sufficient?

21 STATE SENATOR PEARSON: Well, I think that's
22 a big part of the issue and some of where the
23 interests of rural states really shines through. I
24 mean, I would say my little story with the camera and
25 my phone, Best Buy couldn't fix it. They were already

1 authorized. But, of course, most Vermonters are
2 probably several hours from the nearest Best Buy. So
3 it's only a part of it, whereas every mall in the
4 state and around the country has a little kiosk there
5 that will replace your battery, will replace the
6 screen. It's a question of what parts they get.

7 You know, I wonder if I can just address,
8 too, something that Sarah said about the task force
9 which I was the co-chair of. And she suggested that
10 we strongly recommended that we should not move
11 forward. That is [broken audio] false. What we
12 acknowledged was that the legislature, if they wanted
13 to move forward, needed to recognize this was going to
14 be a court challenge. It was abundantly clear --
15 every little meeting we had in a corner room in
16 Montpelier, Vermont, folks from the industry came from
17 [broken audio] the country to watch what we were doing
18 in our little state.

19 So the fact is, the industry likes the
20 profit center that [broken audio] and obsolescence
21 gives them. They're not going to give this up without
22 a major fight. And so as somebody who is helping the
23 legislature understand the dynamics here in our
24 report, we would say, you know, you've got to be
25 conscious of this dynamic if you're moving forward.

1 So authorized repair is part of the
2 solution. We need more, probably, although we heard
3 earlier today that it is not so much a training as a
4 business arrangement to favor some businesses over
5 others. It doesn't necessarily signal skills. And so
6 I think we're nibbling around the edges here, and I'd
7 like to go back to the automobile parallel where it's
8 up to me to decide if my neighborhood mechanic has the
9 skills that I want to trust. It's not up to Honda or
10 Ford.

11 MS. PIERCE: Dan, maybe I could just jump in
12 there really quickly, and just to harken back to what
13 the senator said about an affiliation rather than
14 skills training, and that is not what we would call
15 accurate for our technicians. Our technicians are
16 handling refrigerant gases and, currently, we are in a
17 process of transitioning away from the higher
18 global-warming-potential refrigerant gases down to
19 something that's much better for the environment.

20 Those gases are different and look different
21 and operate differently in a product than the higher
22 global-warming-potential. And we need to have
23 technicians and service technicians who are working on
24 these products who have the safety certifications, who
25 also have the understanding and the training on how

1 those gases interact differently and which gases go
2 into which products. And so it's very critically
3 important.

4 STATE SENATOR PEARSON: But by that logic,
5 our neighborhood mechanic shouldn't fix the air
6 conditioning in your car, right? In many cases, it's
7 the same coolant. I mean, over and over, we're going
8 to hear these themes where, in fact, the reality is
9 much more basic than the industry would like to have
10 us believe.

11 We have skilled people that want to do the
12 work. Are they going to be flawless? No. Will some
13 of those businesses close because they're incompetent?
14 Sure. But some of them will thrive. And the bottom
15 line is I buy a product, I pay for it outright, I
16 should be able to take it where I want to be looked at
17 by whomever I choose.

18 MR. SALSBURG: So, Aaron Lowe, let's have
19 you follow up on that, too.

20 MR. LOWE: Yeah. I mean, we don't have any
21 problem if they want to have authorized repair shops.
22 We have dealers in our industry, but the consumer
23 makes the choice. They base it on trust. They base
24 it on reputation. There's this feeling, almost, that
25 the consumer is just too stupid to figure out where

1 they're going to get their car repaired, that there
2 aren't resources out there to figure it out. Having
3 an independent repair industry keeps everybody
4 competitive, keeps everybody honest. It makes people
5 better at what they do. It makes people better
6 repairers.

7 You know, this whole issue of air
8 conditioning fluids, I mean, refrigerant, we have to
9 do the same thing in the independent industry. We
10 have to train our technicians to work on the new air
11 conditioning refrigerants that are out there, 1234yf.
12 There are regulations that EPA has put out requiring
13 individual technicians to pass certain certifications.
14 So you have to do that by federal law anyway. So the
15 fact that they're going to be -- air conditioning is
16 -- you know, no independent could work on that, they
17 have to do the same thing that an authorized shop
18 would do in order to work on those refrigerants either
19 in stationary or the independent part of the industry.

20
21 So, I mean, I think competition always seems
22 to make a better world for the consumer and makes even
23 the authorized people better at what they do. And to
24 say that we're only going to allow authorization is
25 really -- now you're just setting them up to become

1 -- to not provide those services at the best cost at
2 the best level of service that they can.

3 STATE SENATOR OSMEK: Or what seems to
4 happen is -- and I've run into this with a number of
5 different constituents that have come to me -- is that
6 they would like to take the training and they would
7 like to have the authorization and they would like to
8 be certified, but the manufacturer for that particular
9 device or that particular item isn't currently
10 training anyone and doesn't provide that as an option,
11 that an independent person can take that
12 certification.

13 And also, Ms. Pierce actually made a great
14 point by just saying, well, we don't know what that
15 cost is. I mean, if the manufacturer says, we'll tell
16 you what we're going to do. We'll give you the
17 training and we'll give you the -- if you pass the
18 certification, well, that'll be \$10,000, please. Well
19 you can make it so cost prohibitive that the
20 authorized dealer is the only one that can afford to
21 be the one that can do the repairs.

22 And, really, we've got two different things
23 happening here. We're talking about devices -- and
24 actually, I really like that the home manufacturers
25 are really doing the model that we want to do across

1 the rest of the industry, which is have more
2 availability, as Mr. Lowe said, have more independence
3 that drives competition, that drives innovation, that
4 also drives pricing. And then you go to other items,
5 which actually the previous panel talked about, which
6 are just flat out software being loaded onto hardware
7 that are poison pills.

8 So you've got many different issues going
9 on here today, but I think we're talking through the
10 same issues, that we need to have more of that
11 competition.

12 MR. SALSBURG: Kyle Wiens, let's say the
13 gasket on my refrigerator door breaks. What's
14 wrong with me having to go to an authorized repair
15 facility?

16 MR. WIENS: Well, the interesting thing with
17 refrigerators is there has been a spate of
18 manufacturing defects over the last couple of years
19 with LG and Samsung refrigerators. And there's a
20 class action suit going on right now. But all of my
21 friends that are appliance repair technicians have
22 just had the time of their lives the last couple of
23 years because they have been working flat out doing
24 nothing but changing out LG and Samsung compressors.
25 And they are so busy, they don't have time to change

1 my gasket.

2 So from everything I hear, LG and Samsung
3 have hired out every single authorized repair tech,
4 and they're just so flat out swamped dealing with all
5 these defects and the problem -- part of the reason
6 that they're so busy is they go out to somebody's
7 house, they install a compressor, three months later,
8 they go out and they put in a new compressor in that
9 refrigerator. Like they've got a fundamental
10 manufacturing flaw and it's soaked up all of their
11 repair capacity.

12 And that's the kind of thing that you would
13 expect to happen. Like I'm sure that this is not
14 planned obsolescence. I'm sure they weren't sitting
15 there saying, ha ha, we're going to make these
16 compressors fail in three months. It was a
17 manufacturing mistake. I'm sure they're fixing it and
18 that the next refrigerators won't have this problem.
19 But, in the meantime, you need the free market to be
20 able to absorb that. And that's where in the auto
21 world, it's so healthy having manufacturers have maybe
22 24 percent of the market; the rest is independent.
23 And that independent market can swell and absorb more
24 impact.

25 If you look at what happened with the iPhone

1 battery situation a year ago, it came out in the press
2 that Apple had been slowing down phones with older
3 batteries. And, all of a sudden, everybody was like,
4 wait a second, my phone has a battery? It wears out?
5 Maybe I should get a new one. And so the whole world
6 said, let me go into Apple and get a new battery for
7 my phone. And Apple was booked out, and it was weeks
8 and weeks and weeks to get an appointment at an Apple
9 store.

10 And so I imagine your business did fairly
11 well those couple months. Mine did as well, right?
12 We had consumers installing kits themselves. We had
13 repair markets. If it wasn't for the independent
14 iPhone repairers, Apple would've been screwed. They
15 would've never been able to make their way through the
16 crisis. So this is where the economy as a whole is
17 resilient. Any individual company's network is not.

18 MR. SALSBURG: So, Aaron, let's turn to an
19 existing industry initiative. You were describing the
20 MOU that the auto industry has. It came into being
21 about five years ago, is that right?

22 MR. LOWE: Right, 2014.

23 MR. SALSBURG: And technology has changed in
24 five years. If you could turn back the clock -- not
25 to 1970, but to 2014 -- knowing what you do now, how

1 would the MOU look different?

2 MR. LOWE: Well, first of all, the MOU came
3 about to save the patchwork of legislation that would
4 have been created had we gone state by state to do
5 right to repair. And so what we agreed to in the MOU
6 is that we would enforce the Massachusetts law
7 nationwide. All the manufacturers -- with the
8 exception of Tesla, and we could do a whole day on
9 Tesla -- signed the MOU. It's been successful.

10 However, there are issues, which I mentioned
11 when I started, of the fact that telematics, or data
12 that's transmitted wirelessly, was excluded from the
13 MOU. Would we have liked to have had that in there?
14 Yes, but this is pretty early in 2014.

15 And, right now, we're facing the issue of
16 data starting to be transmitted by vehicles which we
17 have no access to and which is now -- also with more
18 of these parts of the onboard diagnostic system being
19 locked out, we need access to that data wirelessly,
20 both to compete with the dealers but also to perform a
21 lot of repairs.

22 So we would have liked to have that included
23 in it, but we are now working to revise the law in
24 Massachusetts to include wireless data and to ensure
25 that you cannot restrict access to the onboard

1 diagnostic system without doing it in a standardized
2 way.

3 MR. SALSBURG: Kyle, do you --

4 MR. LOWE: In Massachusetts, I'm sorry.

5 MR. SALSBURG: And, Kyle, do you see any way
6 to expand an MOU from auto care to all products? Is
7 that conceivable or cognizable?

8 MR. WIENS: I think so. I think that's the
9 direction that we need to go in. And it's a question
10 of, you know, do you need the regulatory framework,
11 can you do it in a voluntary fashion. I'm totally
12 open-minded. It's been really interesting that over
13 the course of -- you've had 20 different states
14 introduce right to repair bills this year, there has
15 not been discussion of a compromise at all. So I
16 think maybe we need to get a little bit farther and
17 set a baseline for kind of good practices on the part
18 of the industry.

19 There was a great academic paper that
20 analyzed the current situation with right to repair
21 and saying, basically, where are we on a spectrum of
22 repair freedom where you'd have a totally free, open
23 repair market and you have a closed market. Cars are
24 somewhere in the middle. They said the current
25 situation with most products is that the default is

1 repair is not an option.

2 MR. LOWE: Can I just say one thing? I
3 don't think we would have had the MOU at all unless we
4 had gotten the law passed in Massachusetts. That
5 served as the bedrock that then moved the negotiations
6 forward because it was a fear of having a patchwork
7 that really drove having the MOU and the realization
8 that we needed to -- you know, a national solution was
9 in everybody's best interest. We wouldn't have gotten
10 to that step until we had gotten the law in one state
11 that would have made that happen.

12 MR. SALSBURG: Let me ask this to Senator
13 Pearson and Senator Osmeck. Is that your modus
14 operandi here, that you're assuming that if one of
15 your states passes a right to repair law, then there
16 will be some sort of MOU generally?

17 STATE SENATOR PEARSON: If you're looking at
18 me, I mean, I think -- I serve in the state
19 legislature, so I have modest influence on the Federal
20 Government. I have more influence in my legislature,
21 and we're trying to move this forward. That's one of
22 the things that excites me about the conversation
23 you're having today is, clearly, federal action would
24 be better.

25 And I just want to point out, you know, we

1 were asking earlier in the day, do consumers want
2 this. What was the vote result in Massachusetts? I
3 think it was on the ballot a couple of times. Did it
4 ever get less than 80 percent support?

5 MR. LOWE: It was only on one. It was only
6 one time. It was 86 percent to 14 percent. There
7 wasn't even a question.

8 STATE SENATOR PEARSON: I'd love to win my
9 election by 86 percent. That is a pretty compelling
10 result. I'd be curious what the senator from
11 Minnesota thinks.

12 STATE SENATOR OSMEK: First, I agree with my
13 colleague from Vermont. This shouldn't happen in the
14 states. It really shouldn't. It's a federal issue.
15 However, it seems to me, this place is dysfunctional
16 as hell, and it's just not going to get done unless
17 somebody pushes it.

18 And I've been working on this since I came
19 to the legislature. I've worked on it every summer in
20 bits and pieces and not gotten anywhere. And what's
21 happened is is the -- one of the first times I finally
22 got a manufacturer to show up -- they're represented
23 by a piece of fruit; I won't say who they are -- and
24 they sat in the back of the room, crossed their arms,
25 and said no. That's all they did. They said no, no,

1 no.

2 Then you get John Deere. And I don't know
3 if John Deere is in the room, but they said no, no,
4 no. That's all they said.

5 Consumers are demanding this. Consumers are
6 demanding this. You're talking to a conservative
7 Republican from Minnesota who is locking arms with
8 liberal environmental Democrats who hate putting
9 things in the landfills any more than I do. I mean,
10 I'm a conservative at heart. I don't want to fill up
11 landfills. There's no reason for it. The first word
12 of conservative is conserve. And it's moving down the
13 tracks.

14 My suggestion to -- and I don't want to
15 threaten people in the room that are in an industry --
16 but I just want to tell you, you need to come to the
17 table and get something that works before it's too
18 late because it may be just in Minnesota that it may
19 happen. But if there's changes in Washington, it
20 could be very ugly what could happen. Let's get
21 something that works for businesses and works for
22 consumers. That's what I want to do. And no is not
23 the answer.

24 (Applause.)

25 MR. SALSBURG: So, Aaron, the auto industry

1 MOU generally worked because you have a discrete
2 industry with parties that can negotiate an MOU. Is
3 that correct?

4 MR. LOWE: Yeah, I think -- we have a broad
5 industry in the aftermarket. So the two associations,
6 us and the Coalition for Auto Repair Equality,
7 negotiated the MOU with a broad -- with the Alliance
8 and the Global Automakers.

9 MR. SALSBURG: And, Kyle, when you think of
10 that, can you think of -- are there associations that
11 represent every manufacturer and every repair shop? I
12 mean, are there parties that could actually negotiate
13 such an MOU?

14 MR. WIENS: Yeah. It's harder. I mean, the
15 CTA who spoke earlier I think is the closest thing to
16 an association. But even they're not comprehensive.
17 I mean, it is a large fragmented industry. And this
18 is something that I think is interesting. We've had
19 conversations with folks inside a lot of these large
20 electronics manufacturers that are arguing internally
21 to support the legislation. What they're saying is,
22 look, we're already doing a lot of this. The big
23 brands are maybe the closest to complying. They have
24 already this information they're providing to their
25 authorized network. It wouldn't be very burdensome to

1 make it available to the public.

2 But then they look at a lot of the knockoff
3 products that are flooding into the market from China,
4 saying there's no regulatory floor for these folks.
5 They can just glue something together, make it
6 disposable, not make a service part supply chain. So
7 that would be the concern is that -- let's say that
8 you had the good actors at a large association sign an
9 MOU, that they might be undercut by foreign
10 competition.

11 I mean, it's interesting. So Vermont has
12 one of the leading electronics recycling programs.
13 And the regulators in Vermont are regularly going to
14 Amazon and Walmart saying, hey, this tablet that
15 you're selling on Amazon, they didn't register it with
16 Vermont's recycling program, so you need to remove it
17 from the market. And it's fascinating to see Vermont
18 step up and take that kind of barrier to the market
19 approach, which is necessary because you have to have
20 a baseline. Before we start talking about repair,
21 you've got to make some kind of recycling program
22 available.

23 MR. SALSBURG: So let's stick with Vermont.
24 Senator Pearson, why don't you -- we're going to shift
25 now and talk about proposed legislation since we only

1 have about 15 minutes left in this session. You're,
2 as you mentioned, the co-chair of the Vermont Right to
3 Repair Task Force. You're the chief sponsor of the
4 right to repair law there. Maybe you could tell us a
5 little bit about what your task force did and what
6 your takeaways were.

7 STATE SENATOR PEARSON: Well, by the end, we
8 had a lot of the same conversations you're having
9 today. We had industry folks in, telling us their
10 side of the story. By the end, we [broken audio]
11 looking at what other states have already done, laws
12 on the books around warranty expansion in California.
13 For instance, if you buy a product -- I think it's
14 over \$500 or over \$100 -- you have the right to have
15 that repaired -- it's a little bit different, but same
16 wheelhouse -- for maybe it's five or seven years. You
17 have similar laws in Rhode Island, in Indiana, New
18 Hampshire.

19 So we started moving in that direction,
20 recognizing that the discussion is going to take time
21 before we really decide to welcome the court challenge
22 that the industry would bring to us if we were to pass
23 the straight-up right to repair bill. We decided to
24 keep the discussion going forward and see if we could
25 land where other states have landed and, in some

1 cases, had laws on the books for years.

2 It's my impression that those laws have not,
3 frankly, been taken advantage of very much. People
4 don't realize they have these rights. Repair shops
5 may not realize it. But since the discussion has
6 started anew, maybe there's more awareness events like
7 today. You see it in the media. I notice when public
8 radio covers my bill, I'm getting a lot of feedback.

9 There's something about this just kind of
10 old-fashioned idea. I bought something, I should be
11 able to fix it. I should take it to my uncle if he's
12 knowledgeable or down the street to a repair shop if
13 they are reputable. This is kind of an old-fashioned
14 idea. To me, I see the political problem of trying to
15 keep this going, trying to keep it in the limelight
16 and see if we can't actually enhance the rights that
17 consumers have and deserve.

18 MR. SALSBERG: Senator Osmeck, about 20
19 states or so have introduced legislation on right to
20 repair, including Minnesota. None have gone anywhere.
21 Is that going to change? And if so, why?

22 STATE SENATOR OSMECK: Well, I would hope so.
23 And I'm just going to read quickly what our
24 requirements are in Minnesota. It's very
25 straightforward. For digital equipment and parts for

1 equipment sold or used in Minnesota, the original
2 equipment manufacturer must make available, on fair
3 and reasonable terms, documentation, parts, and tools
4 inclusive of any updates to information or embedded
5 software to any independent repair provider or owner
6 of a digital electronic equipment manufactured or on
7 behalf of, sold by original equipment manufacturer for
8 the purposes of diagnosis, maintenance, or repair.

9 That's a long sentence. But that's really it.

10 Nothing in this section requires the
11 original equipment manufacturer to make a part if the
12 part is no longer available to the original equipment
13 manufacturer. That's it. There's another section
14 that basically repeats itself for security and locked
15 and related devices. That's it. We just want to have
16 independent folks available to get the same things
17 that the certified ones do. It seems common sense to
18 me.

19 We haven't gotten a lot of movement because,
20 to be perfectly honest, I have some members in my own
21 caucus that are more rural in nature and they do hear
22 from tractor manufacturers. I'll tell you what -- and
23 not so much the auto dealers, because you've already
24 got your somewhat of a carve-out. I'll tell you what,
25 if there is security or safety issues, I'm willing to

1 listen to what you want to have for a carve-out. I'm
2 willing to include that in here. I do not want people
3 creating unsafe conditions in a combine. I don't want
4 an auger to turn on mysteriously and suck somebody
5 into it. That's not going to be good on my campaign
6 literature.

7 (Laughter.)

8 STATE SENATOR OSMEK: So, honestly, it's
9 just something that we want to let people make changes
10 to. An example -- I mean, I'm going to go to the
11 server example. I went to OceanTech at Eden Prairie,
12 very close to where I used to work, and they had piles
13 of servers, piles of them, they were rehabbing from a
14 Fortune 100 company. What they were doing is
15 refurbishing them and reselling them to a school
16 district in Alabama.

17 Everybody wins. The manufacturer wins
18 because, guess what, if there's value in these servers
19 that are not poison-pilled with software that can't be
20 dealt with -- you already heard somewhat about that;
21 if a company can get better value, rather than running
22 it to the end of life, can renew it quicker before the
23 end of life, sell it -- put it onto a resale market
24 that goes to a school district that does not need
25 top-of-the-line equipment, they save money. The

1 manufacturer gets a faster turnover. A small business
2 in Minnesota makes money and has good jobs.

3 Who's losing? Who's losing? Who's
4 fighting? And why would you fight this? That's what
5 drives me nuts out of this whole thing. Why would you
6 fight this situation because it just makes sense?
7 That's the direction we're trying to go and that's why
8 this legislation will be so common sense.

9 But let's get the people in the room and
10 let's just not say no and solve some of these
11 problems. Let's solve -- we had security guys. Let's
12 solve the security issue. Put things behind
13 firewalls. You want more in the legislation to punish
14 people that are going in behind firewalls and going
15 into encryptions and blowing things up and creating
16 problems? We'll do that for you. But it just -- no
17 is not the answer. We all benefit by this, not just
18 by not throwing things away, but also being able to
19 save them and recoup them. And that school district
20 in Alabama, their taxpayers are happy.

21 So let's all win out of this situation and
22 get some great jobs. And, actually, one of the --
23 it's real selfish. Minnesota is a hub for this
24 activity right now. I'm selfish. I want Minnesota to
25 be first because I want us to suck it all from Vermont

1 and New York all into Minnesota and have all those
2 jobs there. Sorry, folks. I'm selfish.

3 MR. LOWE: Can I just make one point to --

4 STATE SENATOR PEARSON: Dan, can I jump in?

5 MR. SALSBURG: Hold on one second, Senator
6 Pearson.

7 Aaron?

8 MR. LOWE: The average age of a car right
9 now is 11.8 years, which continues to grow. One of
10 the reasons is, of course, cars are being made better.
11 But the other reason is that those cars are repairable
12 and people of all income streams can have affordable
13 transportation to do what they need to do. It keeps
14 cars out of the landfill sooner. It allows cars to
15 keep running. Now, it may not be great news for
16 Detroit all the time, although they've been selling
17 cars the last couple of years. But it is good for the
18 motoring public. It's good for the environment. And
19 it's been good for our industry as well, obviously.

20 MR. SALSBURG: Senator Pearson, do you want
21 to comment on sending all Vermont's money to
22 Minnesota?

23 STATE SENATOR OSMEK: Yes. He will. He
24 will.

25 STATE SENATOR PEARSON: We actually have a

1 guy that's been helping me on the legislation who is a
2 regional expert on iPhones. People in Albany and New
3 England send the tough repairs to him. And he'll tell
4 you [broken audio] diagnostics, for a \$2 part he could
5 save your iPhone that's dead. If he can't do it, you
6 buy a new 8 or other iPhone.

7 But a funny thing -- I'm getting a bit of an
8 echo. Can you guys hear me?

9 MR. SALSBURG: Yeah, we're getting a little
10 echo, too, but we can hear you.

11 STATE SENATOR PEARSON: Okay. When I first
12 introduced the bill, industry didn't come and ask for
13 a little modification. They asked for carve-outs.
14 And the industry that caught my eye was the medical
15 manufacturers. And I thought, gee, you know, maybe we
16 do want to take X-rays and MRIs and stuff and treat
17 them differently. It's a little different than my
18 laptop or my coffee maker. And I just had that
19 thought privately. I didn't respond right away to the
20 outreach from the industry.

21 The hospital up the street from me is a
22 level one trauma center, a teaching hospital. The
23 techs there sent me a letter and said, I'm so glad
24 you're doing this. We are barred from repairing so
25 much of the equipment in the hospital. It costs us

1 tons of money. We have the ability to do it, but
2 we're not allowed to. It costs us money. It takes
3 more time because we've got to wait for the authorized
4 repair dealer to get there. And that really surprised
5 me.

6 I mean, over and over -- we have the
7 expertise in our rural parts of the country, in our
8 urban parts of the country. The industry doesn't want
9 us to make progress. It's not surprising to me that
10 it takes time. They're enjoying the profits and
11 having us buy new stuff at a highly frequent rate.

12 MR. SALSBURG: In the lead up to this
13 workshop, we've heard from associations that represent
14 manufacturers of a variety of industries and
15 associations of repairs for a variety of industries,
16 including medical devices. Have you thought about
17 whether there should be carve-outs for other
18 industries besides the medical devices, for instance,
19 tractors, aircraft, home appliances, products with
20 lithium-ion cells, or gaming systems and video games?
21 Are folks coming to you, Senators, to try to get these
22 sorts of carve-outs and have any of them convinced
23 you?

24 STATE SENATOR PEARSON: They are all coming,
25 and none of them have convinced me.

1 STATE SENATOR OSMEK: Well, I'll say that
2 one of them did convince me. We did put a section
3 into my bill that says nothing in this -- it says in
4 section B, subsection 6, nothing in this section
5 applies to medical equipment as defined by the United
6 States Food and Drug Administration under the Federal
7 Food, Drug and Cosmetic Act.

8 I do have concerns from a safety issue about
9 somebody who doesn't have training and certification
10 fixing something, and I'm having open heart surgery
11 and, all of a sudden, they didn't fix it right and,
12 now, I'm flat-lined. So I think there is a good
13 reason. I also don't think they should be working on
14 pacemakers. I think that's probably a bad idea.

15 But you know, we can talk through that,
16 whether it makes sense or not. Maybe there's some
17 things in a hospital that should be fixable by the
18 custodial staff and there probably -- you know, I
19 don't know. But let's talk through those. Up until
20 this point in time, I haven't gotten that far. I've
21 moved the ball to the 10-yard line, but I'm not
22 getting very far.

23 MR. SALSBURG: So, Aaron, I'm not sure
24 whether we can equate a pacemaker with a spare tire.
25 But if I change my tire really incorrectly and forget

1 to put the lug nuts on, I can cause quite a lot of
2 mayhem on the highway. Were arguments about safety
3 and repairs made throughout the process leading up to
4 the MOU?

5 MR. LOWE: The arguments for safety -- IPU
6 is a big issue. There is a ton of issues very similar
7 to what's been raised by the manufacturing industry in
8 these device right to repair bills. But in the end,
9 those didn't win out and we didn't put restrictions on
10 right to repair. There were security issues that
11 needed to be worked out. And so one of the things we
12 did is we created a system called the -- I'm blanking
13 out on what it is. But it allowed security codes to
14 be monitored or tracked.

15 When a repair shop or an independent
16 locksmith needed to replace a key or to re-energize a
17 system that has a key code, we developed a system that
18 allows a group to track that. So if there's a problem
19 with it, we can monitor and law enforcement can take
20 action. So we were able to address that issue, a
21 special issue. And so the same things would come with
22 any security issue, they would have to be developed.
23 There are ways to address them and there are ways to
24 allow for competition.

25 And so in the end, we passed the law. It's

1 been in effect. The world didn't end. Cars are being
2 repaired safely and, you know, more and better
3 information is out there. So I think -- you know, we
4 heard the world was going to end. It didn't. It
5 continues to be a very viable industry. And I think
6 car owners can continue to trust their independent
7 shops and technicians.

8 MR. WIENS: And one thing that I would note
9 is that the law says the mission has to be available
10 to consumers, and it is. If you go online, you can
11 pay GM for information, for access to your car. It's
12 not very much to get access for the day. And even the
13 Korean manufacturers -- correct me if I'm wrong, but I
14 think Hyundai and Kia went so far as just to make it
15 available for free to everybody.

16 MR. LOWE: They did, but that was just
17 really basic information. They did develop a site
18 that was more for technicians.

19 MR. WIENS: Okay, got it.

20 MR. LOWE: We could talk about the
21 Kia-Hyundai issue, but --

22 MR. WIENS: Sure, okay. But, I mean,
23 fundamentally, this information has been made
24 available to consumers for years, and it's been very
25 successful and useful. And one thing I think is

1 really interesting -- we talk about safety. Well,
2 let's get a baseline of information out there. If
3 we're concerned about people doing repairs improperly,
4 it seems like maybe the right reaction to that would
5 be to train them better, not to withhold information.

6 I see this in the forklift world. All the
7 forklift manufacturers make all their service manuals
8 available very carefully. And it's their lawyers that
9 are driving it because they know that if you repair a
10 forklift improperly, you're going to have a problem.
11 And so they see the way to mitigate their legal risk
12 is, let's publish the exact precise right way to do
13 it. And then if there is an improper repair, we can
14 say, let's look at what they did. Let's look at the
15 procedure we showed them on how to do it. And if they
16 differed from the procedure, it's their fault.

17 Where if you put a system out there that
18 it's complicated and challenging to work on and you
19 withhold the information on how to safely work on it,
20 maybe you're opening yourself up to some more
21 liability.

22 MR. SALSBERG: Senator Osmeck, one of the
23 things that struck me when you were reading
24 Minnesota's bill was what kinds of repairs it would
25 cover. We've heard people argue that right to repair

1 would enable somebody to enhance products and modify
2 them in a way that would be dangerous. Is there
3 anything in what you read that would allow for
4 modification that wasn't bringing something back to
5 its original state?

6 STATE SENATOR OSMEK: True, there's nothing
7 specifically written into the requirements that says
8 thou shalt not enhance or make it better. It may be a
9 byproduct of what happens. But then, again, why
10 should I stand in the way of somebody knowing how to
11 create a better -- creating a better mousetrap? I
12 mean, if somebody figures it out, that's how
13 innovation happens in the United States is somebody
14 looks at it, looks at the manuals, figures it out, and
15 says, I can enhance the usability of this product by
16 50 percent by doing this without breaking any law,
17 without breaking the device, without breaking into the
18 security of the device, without breaking into the
19 intellectual property of the device. I mean, we
20 already have enough intellectual property laws on the
21 federal books and the state statutes to kill a horse.

22 So nothing stops it from happening. But,
23 again, come to the -- the industries need to come to
24 -- we've laid out -- the advocates here have very well
25 laid out today all of our concerns. We've put

1 everything on the table. Industry needs to come to
2 the table and work with us because if you don't, as I
3 said a little earlier, it's not going to turn out
4 well.

5 Because I know the other side and they're
6 not going to listen to business guys like me that
7 understand the issue and want to help make it a
8 manageable situation. You're going to get something
9 rammed down your throat. That's what will happen.

10 MR. SALSBURG: And we're going to end on
11 that note.

12 (Laughter.)

13 MR. SALSBURG: So I'd like to --

14 STATE SENATOR OSMEK: Mister Positive.

15 MR. SALSBURG: I'd like to thank our panel.

16 (Applause.)

17 MS. SALSBURG: And I'm pleased to introduce
18 for closing remarks Lois Greisman, who is the
19 associate director of the Division of Marketing
20 Practices.

21

22

23

24

25

1 CLOSING REMARKS

2 MS. GREISMAN: Thank you, Dan. Well, thanks
3 to everyone. It's been quite an afternoon. I think
4 it will come as no surprise to anyone in this room or
5 anyone who's been listening on the webcast, people
6 have different views about repair restrictions. And
7 some of these views are fairly well entrenched.

8 What I'd like to do is just call out a
9 couple of the points that were made today, the ones
10 that at least stuck in my mind.

11 Repairs can cause harms to someone else and
12 forcing repairability will drive costs and undermine
13 security. On the other hand, we heard that security
14 demands being able to fix things. The market's been
15 characterized as one providing OEMs with a monopoly on
16 repairs. At the same time, we heard that repair
17 limits may have a negative impact on innovation. And
18 some spoke at length about consumer demand for design
19 as very relevant to repair limits.

20 Others indicated that safety concerns
21 necessitated on who can do repairs. We also heard
22 that repair limits are simply not realistic if you
23 live in a rural area or if you just don't have access
24 to authorized dealers. And there's an interesting
25 lack of data on the quality of repairs by those who

1 are authorized to do the repairs versus independent
2 repairers. And, of course, there was a robust debate
3 over environmental issues.

4 So the good news, there were no thermal
5 runaways.

6 (Laughter.)

7 MS. GREISMAN: And that's good. We came
8 maybe a little bit close on some occasions, but
9 nothing terribly worrisome. And all seemed to agree,
10 at least, that it's not a question of whether devices
11 should be repaired; it's a question of who can do the
12 repairs. Are they the authorized repairers? Though,
13 even with them, there's some debate whether that's a
14 business relationship or a serious certification
15 process. Should it be independent shops or should it
16 be consumers themselves?

17 And then, as this panel discussed, there
18 are some interesting issues concerning proposed
19 legislation, the auto industry's MOU and whether that
20 serves as a template that can be expanded to other --
21 if not all industries, some discrete segments of
22 industries.

23 So you're all wondering, what next? Well,
24 as Commissioner Wilson said this morning, this is what
25 we do at the FTC. We do workshops. We do

1 conferences. We do roundtables to look at, probe,
2 poke interesting issues that affect consumer welfare
3 and competition hopefully to inform us at the agency
4 so we can do our jobs better and also to stir public
5 debate. And I think I can fairly say we stirred a
6 little public debate today.

7 Research and comments on this are open until
8 September 16. Please, there were gaps in information
9 and research that were flagged today. Also, I'm sure
10 there are some arguments that were made or issues that
11 were framed that can be more fine-tuned, and that
12 would be very helpful as we think about and consider
13 what steps, if any next steps, we should take.

14 So again, my particular thanks to the
15 panelists and for those who traveled to be here today.
16 Also my thanks to all those who participated and
17 watched via webcast and, of course, to the FTC staff
18 who put this on. So give yourselves a big round of
19 applause, and we are adjourned.

20 (Applause.)

21 (The workshop was concluded.)

22

23

24

25

1 CERTIFICATE OF TRANSCRIPTIONIST

2

3

4

I, Elizabeth M. Farrell, do hereby certify

5

that the foregoing proceedings and/or conversations

6

were transcribed by me via CD, videotape, audiotape or

7

digital recording, and reduced to typewriting under my

8

supervision; that I had no role in the recording of

9

this material; and that it has been transcribed to the

10

best of my ability given the quality and clarity of

11

the recording media.

12

I further certify that I am neither counsel

13

for, related to, nor employed by any of the parties to

14

the action in which these proceedings were

15

transcribed; and further, that I am not a relative or

16

employee of any attorney or counsel employed by the

17

parties hereto, nor financially or otherwise

18

interested in the outcome of the action.

19

20

21

DATE: 6/17/2020

22

ELIZABETH M. FARRELL, CERT

23

24

25